

NOVA SCOTIA ENERGY BOARD

IN THE MATTER OF: *THE PUBLIC UTILITIES ACT*

- and -

**IN THE MATTER OF: OF A GENERAL RATE APPLICATION BY NOVA SCOTIA
POWER INCORPORATED** for approval of certain
revisions to its Rates, Charges, and
Regulations

TRANSCRIPT PART A

HEARD BEFORE: Mr. Stephen T. McGrath, K.C. Chair
Mr. Roland A. Deveau, K.C., Vice Chair
Mr. Steven M. Murphy, MBA, P.Eng., Member

PLACE HEARD: Offices of the Nova Scotia Energy Board
1601 Lower Water Street, 3rd Floor
Halifax, Nova Scotia

DATE HEARD: Monday, January 12, 2026

APPEARANCES:

APPLICANT: **Nova Scotia Power Inc. (NSP)**
Mr. Colin J. Clarke, K.C.
Ms. Jennifer Power, Counsel
Mr. Geoffrey Breen, Counsel
Mr. Blake Williams, Senior Director, Regulatory
Affairs

INTERVENORS:

Consumer Advocate

Mr. David J. Roberts, Counsel

Mr. Michael Murphy, Counsel

Small Business Advocate

Ms. Melissa P. MacAdam, Counsel

Ms. Rebekah L. Powell, Counsel

Affordable Energy Coalition

Mr. Peter Duke

Mr. Chris Benjamin

Eastward Energy Incorporated

Ms. Allison Coffin, MBA, P.Eng.

Ms. Angela Costello, Regulatory Analyst

EfficiencyOne

Mr. James Gogan

Ms. Lucia Westin-Eastaugh

Industrial Group

Ms. Nancy G. Rubin, K.C., Counsel

Ms. Brianne Rudderham, Counsel

**Municipal Electric Utilities of Nova Scotia
(MEUNS)**

Mr. James MacDuff, Counsel

Natural Forces

Mr. Austen Hughes

Ms. Meg Morris

Nova Scotia Department of Energy

Mr. Daniel Boyle, Counsel

Mr. Girish Patel

**Nova Scotia Independent Energy System
Operator (NSIESO)**

Mr. Jason T. Cooke, K.C.

Ms. Danielle J. Keating, Counsel

Nova Scotia Liberal Caucus

Mr. Chris Abraham

Mr. Iain Rankin

Nova Scotia NDP Caucus

Ms. Claudia Chender

Ms. Susan Leblanc

Port Hawkesbury Paper LP

Mr. David MacDougall, Counsel

Mr. James MacDuff, Counsel

Ms. Melanie Gillis, Counsel

Renewall Energy Inc.

Mr. Daniel Roscoe, P.Eng.

SWEB Development

Mr. Mason Baker, P.Eng.

BOARD COUNSEL: Mr. William L. Mahody, K.C.

BOARD STAFF: Mr. Steve Pronko, Director, Electrical
Advisory Services
Ms. Libby McNamara, Director, Risk and
Financial Advisory Services
Ms. Holly Chisholm, Advisor (Economics/Finance)
Mr. Robert Norwood, Public Proceeding Assistant
Ms. Svitlana Lykhina, Public Proceeding
Assistant
Mr. Jeff Goodine, Information Systems Technician

RECORDED and

TRANSCRIBED BY: INTERNATIONAL REPORTING INC.

Ottawa, Ontario

INTERNATIONAL REPORTING INC.

CERTIFIED COURT REPORTERS

I N D E X O F P R O C E E D I N G S

PAGE NO.

January 7, 2026

Hearing opens	1
Preliminary matters	1
Opening Statement by Affordable Energy Coalition	11
Opening Statement by Nova Scotia Liberal Caucus	17
Opening Statement by Nova Scotia NDP Caucus	27

NSP COST OF SERVICE PANEL, Solemnly Affirmed:

Examination on Qualifications by Mr. Clarke	35
Cross-Examination on Qualifications by Mr. Mahody	41
Questions on Qualifications from Member Deveau	44
Questions on Qualifications from The Chair	52
Direct Examination by Mr. Clarke	53
Opening Statement by Nova Scotia Power	57
Cross-Examination by Ms. Rudderham	63
Cross-Examination by Mr. Roscoe	83
Cross-Examination by Mr. Mahody	86
Questions from Member Murphy	142
Questions from The Chair	161
Further Cross-Examination by Ms. Rubin	194

NSP DEPRECIATION PANEL, Solemnly Affirmed:

Examination on Qualifications by Mr. Clarke	200
Cross-Examination by Ms. MacAdam	208
Cross-Examination by Ms. Rudderham	238
Cross-Examination by Mr. Mahody	253
Questions from Member Murphy	276

I N D E X O F P R O C E E D I N G S

PAGE NO.

January 7, 2026

Hearing adjourns 327

January 8, 2026

Hearing resumes 329

NSP DEPRECIATION PANEL, Previously Affirmed:

Questions from The Chair 331
Further Cross-Examination by Mr. Mahody 378
Questions from The Chair 392

NSP COST OF CAPITAL PANEL, Solemnly Affirmed:

Examination on Qualifications by Mr. Clarke 400
Cross-Examination by Mr. Mahody 405
Questions from Member Murphy 466
Questions from Member Deveau 507
Questions from The Chair 535
Cross-Examination by Mr. Roscoe 546

NSP GENERAL AND OTHER REGULATORY MATTERS PANEL, Solemnly Affirmed:

Examination on Qualifications by Mr. Clarke 553
Cross-Examination by Mr. Murphy 556
Cross-Examination by Ms. Rudderham 568
Cross-Examination by Mr. MacDougall 616
Cross-Examination by Mr. Roscoe 643

Hearing adjourns 648

I N D E X O F P R O C E E D I N G S

PAGE NO.

January 9, 2026

Hearing resumes	649
-----------------	-----

NSP GENERAL AND OTHER REGULATORY MATTERS PANEL, Previously Affirmed:

Cross-Examination by Mr. Mahody	652
Questions from Member Murphy	801
Questions from Member Deveau	832

Hearing adjourns	935
------------------	-----

January 12, 2026

Hearing resumes	937
-----------------	-----

NSP GENERAL AND OTHER REGULATORY MATTERS PANEL, Previously Affirmed:

Questions from The Chair	938
Further Cross-Examination by Mr. MacDougall	1055

Hearing recesses to resume <i>in camera</i>	1063
---	------

LIST OF EXHIBITS

EXHIBIT NO.	DESCRIPTION	PAGE NO.
<u>January 7, 2026</u>		
N-42	CVs of Barry Griffiths and Angie Brown, Doane Grant Thornton	9
N-43	Nova Scotia Power announces settlement reached with customer groups	91
N-44	October 2025 decision of the State of Connecticut Public Utilities Regulatory Authority	121
N-45	CV of Andrew Blair of Elenchus Research Associates	198
N-46	CV of James Coyne of Concentric Energy Advisors	198
N-47	CV of John Wiedmayer of Gannett Fleming	198
N-48	Direct testimony of Jacob Pous	261
N-49	Direct evidence of James T. Selecky	261
<u>January 8, 2026</u>		
N-50	Underlying inflation: Separating the signal from the noise	448
N-51	Ontario Energy Board Decision EB-2024-0063	455
N-52	Energy Institute WP 329R	455

LIST OF EXHIBITS

EXHIBIT NO.	DESCRIPTION	PAGE NO.
	<u>January 9, 2026</u>	
N-53	CV of Vincent Musco, Bates White	649
N-54	CV of Karen Morgan, Bates White	649
N-55	Nova Scotia Power Incorporated Regulations made under Section 118 of the <i>Public Utilities Act</i>	703
N-56	OIC 2007-85	703
N-57	OIC 2023-138	703
N-58	DM pay plan	707
N-59	Response to Undertaking U-12	748
N-60	M12451 Lingan 2 winter capacity 2025-25	926
	<u>January 12, 2026</u>	
N-61	CV of Caroline Morgan, Synapse	937
N-62	Hydro-Québec Climate Plan	1054

LIST OF UNDERTAKINGS

NO.

PAGE NO.

January 7, 2026

U-1	To file Mr. Blair's résumé. Also to confirm the other experts that are to appear have filed their résumés, and if not, to file them	42
U-2	To provide a response to Board IR-130(e), which is to calculate a forecasted deferral amount to be charged to customers if PHP remains on the ELIADC for all of 2026	73
U-3	To provide an updated Cost-of-Service Study in Exhibit N-21(i) and (ii) to reflect the change in PHP demand at 3CP	80
U-4	To provide redacted PDF versions of SR-1, Attachment 2 and Attachment 3 as noted on page 1 of Exhibit N-17	85
U-5	To take cost changes from NSEB IR-128 and go through the stepwise exercise to produce new RC ratios and new resulting rates for the customer classes	116
U-6	To take cost changes from NSEB IR-128 and NSP credit each customer class with 1.5 kilowatts per customer, applying the credit to the NCP demands used for determining the Minimum System demand allocators	148
U-7	To provide the forecast S&P and DBRS cashflow-to-debt credit metrics under the Average Life Group methodology	271

LIST OF UNDERTAKINGS

NO. **PAGE NO.**

January 7, 2026

U-8	To provide the calculation of the dollar affect of implementing the changes recommended in Table 8 using both ALG and ELG	273
U-9	To advise the cost of preparation of the Cost-of-Service Study and the Line Loss Study	278
U-10	To provide the Yates Report	298

January 8, 2026

U-11	To provide the earlier version of the study that included full depreciation costs	332
U-7	To also show the true difference with the \$20 million added to the Per GRA Settlement numbers to show the true difference of the FFO-to-debt ratios	351
U-12	To provide the model that demonstrates the crossover point between the ALG and ELG methods taking into account both depreciation and rate base effects	369
U-13	To provide the source of the \$4 million and the interest referenced in footnote 92 of Exhibit N-8	415
U-14	To update the Concentric cost of capital models	498

LIST OF UNDERTAKINGS

NO.

PAGE NO.

January 8, 2026

U-15	To provide an order of magnitude impact of the AA/BA FAM riders and DSM rider on each individual customer class rate impact as a comparison to Figure 2-1	614
-------------	---	-----

January 9, 2026

U-16	To advise why preferred share dividend amounts cannot be excluded from the regulated financial statements or why they're not being excluded	674
-------------	---	-----

U-17	To provide the August 15, 2025 updated version of the EIFEL rules, and also the reference to the passage, "In the Fall Economic Statement"	726
-------------	--	-----

U-18	To provide the number of disconnections that occurred in 2025	738
-------------	---	-----

U-19	To provide what is the union versus non-union split of the additional 507 full-time employees, number one, and what is the revenue requirement impact of adding those 507 positions	749
-------------	---	-----

U-20	To advise how unit values for the purchases and the benefit calculations were determined and show how NSPI determined unit cost for non-Maritime Link energy	773
-------------	--	-----

LIST OF UNDERTAKINGS

NO.		PAGE NO.
U-21	To provide Nova Scotia Power's actual level of capital investment in '23 and '24 as compared to what was included in the '22 GRA compliance filing	807
U-22	To provide information on why the two LM6000 projects, 191332 Life Extension and 1914433 Engine Refurbishment, were not included in the list in the response to Board IR-92	810

January 12, 2026

U-23	If the "pre-defined dollar value threshold" is a dollar value, provide that value. If not pre-defined, if set specific for each particular customer, how the threshold is set and when it is set. And advise whether that functionality was impacted as a result of the cybersecurity breach and whether this process picked up the recent high billing concerns that have arisen and how it responded to that	971
-------------	--	-----

Halifax, Nova Scotia

--- Upon commencing on Monday, January 12 at 9:00 a.m.

THE CHAIR: Good morning. I hope everyone had a good weekend.

Are there any preliminary matters from any of the parties before we resume questions of the panel?

MR. MAHODY; I have just one, Mr. Chair. Good morning.

The CV of Caroline Palmer of Synapse is -- I've provided to Mr. Goodine. If I could ask that that exhibit -- that that document be marked as the next exhibit, which I think is 53 or 54, perhaps.

Sixty-one (61). There you go.

THE CHAIR: Thank you, Mr. Mahody.

So N-61.

--- EXHIBIT NO. N-61:

Caroline Palmer, CV

MR. MAHODY: Thank you.

1 JONATHAN MacINTOSH, Previously Affirmed:

2 CRAIG FLEMMING, Previously Affirmed:

3 BLAKE WILLIAMS, Previously Affirmed:

4 MICHAEL WILLETT, Previously Affirmed:

5 DRAGAN PECURICA, Previously Affirmed:

6 QUESTIONS FROM THE CHAIR

7 Q. Good morning, panel.

8 A. (Williams) Good morning, sir.

9 Q. In the letter of comment sent on
10 behalf of the KMKNO and the Assembly of Nova Scotia
11 Mi'kmaw Chiefs, a request was made for the establishment
12 of a Mi'kmaw rate class. And I appreciate there may be
13 some statutory issues relating to this, but is this
14 something that has ever been considered by Nova Scotia
15 Power?

16 A. (Williams) I can say that it
17 specifically has not been considered recently, sir. And I
18 think, as you would know, there's been a longstanding
19 understanding within Nova Scotia stemming back from the

1 | *Dal Legal Aid* decision that such a rate would not be
2 | possible under the current legislation.

3 | That said, I personally have had
4 | discussions with representatives from KMKNO about that.

5 | **Q.** Then the letter from the KMKNO
6 | also outlines a number of concerns, including
7 | socioeconomic vulnerability, inefficient housing in
8 | community buildings, the remote location of Mi'kmaw
9 | communities, demographics, and energy burdens. What
10 | supports are available to Mi'kmaw households with high
11 | energy burdens?

12 | **A.** (Williams) Again, sir, those
13 | supports would be similar to those supports that are in
14 | place for all residential customers within Nova Scotia.
15 | However, we're certainly aware that there are differences
16 | for those of an Indigenous background and those living on
17 | reserves as opposed to other customers.

18 | And as I said, I have had discussions
19 | with representatives and look forward to continuing to

1 have discussions about the matters they've raised in their
2 letter.

3 Q. Okay. And in terms of low-income
4 customers generally, I know you spoke on Friday about your
5 work with the Low-Income Working Group. I'm wondering if
6 you could just provide an overview or a review of the
7 supports that are available for people who are finding it
8 difficult to pay their electricity bills at this time.

9 A. (Williams) Certainly. One
10 moment, sir.

11 (SHORT PAUSE)

12 MR. WILLIAMS: Thank you, sir.

13 And I think just as a matter of
14 reference for anyone listening or reading after the fact,
15 I think as a starting place, the Low-Income Working Group
16 report is an excellent resource for parties looking to
17 have a better understanding of the work being done in
18 relation to low-income groups in Nova Scotia and the
19 resources that may be available to them as well as the --

1 | as I mentioned in previous discussion on -- I believe it
2 | was on Friday, that Nova Scotia Power does, in fact, have
3 | a low-income advocate itself in-house that assists low-
4 | income customers in navigating the billing system and any
5 | concerns that they may have.

6 | With that said, there's -- I think as
7 | you would be aware, there's the HARP and HEAT funds, which
8 | are funding that is available to customers not just in
9 | relation to electricity rates, but energy costs in
10 | general.

11 | There is also the pilot program that's
12 | ongoing that is aimed specifically at electricity costs.
13 | And that's for customers that have electricity billing
14 | arrears and that have charities assisting them with those
15 | arrears. And so what that pilot program does is forgives
16 | the interest in relation to that so that when those
17 | customers are receiving that assistance from charitable
18 | organizations, it's not -- that assistance is going
19 | directly on the principal arrear, not on any interest

1 | payments, so trying to assist those customers by making
2 | that assistance that they're receiving much more effective
3 | in terms of drawing down the arrears as opposed to
4 | contributing towards interest.

5 | So those are three programs that are
6 | directly related to costs, I would suggest.

7 | You would have heard me talk also on
8 | Friday about the work that's been done by Mr. Lanteigne,
9 | Director of Customer Service, in relation to
10 | disconnections.

11 | And I -- my personal view of it that
12 | that is very impactful work. And as I said on Friday, you
13 | can see in the numbers how effective that's been.

14 | And what I said on Friday is that that
15 | change or that shift has been a more purposeful approach
16 | to the disconnections. And by that, I mean trying to get
17 | in front of customers when they are at risk of
18 | disconnection and making sure that they understand the
19 | resources that are available to them, whether that's

1 assistance from our low-income advocate, whether that's
2 assistance from other low-income advocacy groups, whether
3 that is engaging them in a discussion about the payment
4 plans that may be available to them. And we've had many
5 discussions with the Low-Income Working Group or the Low-
6 Income Advisory Group about those payment plans and what
7 would be effective, whether it's a 12 month, whether it's
8 a 24 month.

9 So those are discussions that we've
10 had and continue to have about how we can structure those
11 payment plans so they're more -- most effective for that
12 group of customers.

13 Those would be certainly, off the top
14 of my head, sir, probably the main points that are --
15 programs that are directly related to that group of
16 customers or that potential group of customers.

17 But as I said, that -- the discussion
18 with the Low-Income Working Group, I really think it's a
19 beneficial one. It's a great flow of information, and

1 | when I say flow, I mean both -- in both directions.

2 | And I think it's really effective to
3 | be speaking about it from a regional basis like that --
4 | like we do with that group so it's not just a customer --
5 | an overall customer impact. It's really looking at it in
6 | different areas within the province and, you know, trying
7 | to understand why those differences exist and what
8 | resources may exist in those different areas to help those
9 | customers.

10 | So it's a -- it's a very broad
11 | discussion, but it's also a very important discussion and
12 | I think one that's -- it's being more effective, but
13 | that's probably cold comfort for a number of customers,
14 | quite frankly. I know how impactful it is for a number of
15 | customers, but we are doing -- we are progressing that
16 | work to try to understand that better and try to determine
17 | how we can not just help, but help -- not just directly
18 | help, but help people understand what options may be
19 | available. And so a big part of that is the communication

1 and making sure they understand what's available to them.

2 Going back to kind of where the
3 discussion started about a distinct rate, or for rate
4 class, whether it's an Indigenous rate class or whether
5 it's a low-income rate class; sorry. Those are
6 discussions that we do continue to have too, despite the
7 fact that that *Dal Legal Aid* decision exists in the
8 legislative framework that resulted, and it continues to
9 exist. We do believe that it's an important discussion to
10 continue to have because it's our hope that at some point
11 something like that would be available, and we want to be
12 ready to act on it when it is.

13 **BY THE CHAIR:**

14 [9:10:20] Q. Thank you.

15 You referenced the Working Group
16 report. I think one was just filed very recently, and
17 it's Matter M126447 where that report can be found.

18 Mr. Williams, is there anything new
19 that's contemplated or planned in the test years for low-

1 | income or Indigenous supports?

2 | A. (Williams) I think -- so the
3 | pilot program that I mentioned is relatively new and will
4 | continue to run. And I think those -- there's coming into
5 | place of a community grant that would available, and
6 | there's discussion of that in the low-income report that
7 | you just referenced that would have been filed. Just to
8 | continue on the more specific nature of that reference, it
9 | would have been filed, I believe, December 19th of 2025.
10 | And so there's a discussion of that community grant in
11 | there.

12 | But again, I think it's -- I think the
13 | -- what we have undergone, what we've experienced with the
14 | cyberattack has changed customers' needs, at least in the
15 | interim, I think, in terms of communication and how we can
16 | help them. And so certainly things like not disconnecting
17 | customers has been part of the effort to reduce that
18 | burden in the near term as that problem exists. We don't
19 | anticipate that problem existing, as we discussed. But

1 | those efforts more recently have been focused on those
2 | types of burdens and reducing that impact. I think as we
3 | move out of that timeframe where we're experiencing those
4 | impacts, our focus will shift to more longer-term
5 | assistance for those groups. But as I said, that impact
6 | and the work in relation to the cyberattack has not
7 | interrupted the discussion and the work that's been
8 | ongoing with the Low-Income Advisory Group.

9 | Q. Okay. Thank you. In your
10 | Application, Nova Scotia Power noted that its proposed
11 | increases could be compared to recent annual average rate
12 | increases in neighbouring Atlantic Canadian provinces of 7
13 | percent to almost 13 percent. Do you recall that?

14 | A. (Willaims) I do, sir.

15 | **THE CHAIR:** Mr. Goodine, could we put
16 | up -- pull up Exhibit N-14 and go to PDF 229, please?

17 | **BY THE CHAIR:**

18 | Q. So as part of the Application,
19 | Nova Scotia Power filed a link to the Hydro-Québec report?

1 A. (Williams) Yes, sir. I see that.

2 Q. And the Hydro-Québec report is an
3 annual report that Hydro-Québec prepares that provides
4 rate comparisons for a number of cities across North
5 America?

6 A. (Williams) That's my
7 understanding, yes.

8 **THE CHAIR:** Mr. Goodine, are you able
9 to click through that link?

10 So this is a copy of the Hydro-Québec
11 report that was referenced.

12 Could you go to page 26 in the PDF,
13 please, Mr. Goodine? Actually, just looking for the
14 previous page. It says 25 at the bottom. And focusing in
15 on the top half of the table for the Canadian cities.

16 **BY THE CHAIR:**

17 Q. So looking at the amounts for
18 residential bills as of April 1, 2024, it appears that
19 residential bills in Nova Scotia are the highest of all

1 | provinces except Alberta. Does Nova Scotia Power have any
2 | reason to believe that was not the case on April 1st, 2024?

3 | **A.** (Williams) No, sir, I don't
4 | believe we would have any reason to doubt what's
5 | represented on the page. I don't have an in-depth
6 | knowledge of how Hydro-Québec determines this and whether
7 | they use an average bill and how they determine the
8 | customer charge impacts, their findings. Customer charge
9 | would be different in every province.

10 | I think context -- when you're looking
11 | at a chart like this, context is obviously very important
12 | and the specifics in the jurisdiction. So what assistance
13 | is provided from governments and jurisdiction, and when I
14 | say that I don't mean customer direct, I mean specific to
15 | electricity costs. So certainly in a number of these
16 | jurisdictions, there would be some form of subsidy on
17 | electricity rates. Certainly a number of these
18 | jurisdictions are Crown corporations.

19 | I think also important to recognize

1 | the generation components, or the generation mix in
2 | jurisdictions. And while Nova Scotia has some hydro
3 | generation, it's not as fortunate as other jurisdictions.
4 | And certainly when you look at this, Winnipeg, Vancouver,
5 | St. John's, Regina, Moncton to a certain extent with
6 | Mactaquac, but certainly there's a number of different --
7 | and Quebec would obviously be one of those as well with
8 | Montreal at the top of the list there, where there's
9 | significant components of hydro. And that makes a big
10 | difference in terms of the cost of electricity. Hydro, as
11 | this Board and those in this room are well aware, is a
12 | zero-cost fuel. So it has the ability to reduce
13 | electricity costs. And like -- as I said, while we have
14 | some hydro in this province, we don't have it in the
15 | abundance that other provinces do.

16 | And I would also add nuclear to that
17 | discussion as well. It's not as straightforward a
18 | discussion as in comparison with hydro, but it does also
19 | have an impact on fuel costs as well. And so again, when

1 | you look here, obviously Ontario and New Brunswick have
2 | that resource, whereas a number of these other provinces
3 | don't.

4 | So I don't have any reason to dispute
5 | the numbers on here, but I think important to have a
6 | better understanding of how those are developed, but also
7 | the context in which they're developed, and it's important
8 | to recognize the involvement of governments in these
9 | jurisdictions, as well as the fuel mix and historical
10 | reasons for that fuel mix.

11 | **Q.** In terms of our neighbouring
12 | Atlantic Canadian Provinces, do you agree with me that the
13 | amounts showing in the report for bills in Nova Scotia and
14 | looking, I guess, specifically, at the 1,000-kilowatt hour
15 | column in the middle, while only slightly above Prince
16 | Edward Island, are close to 20 percent higher than New
17 | Brunswick and more than 30 percent higher than
18 | Newfoundland and Labrador?

19 | **A.** (Williams) Again, sir, the

1 numbers are on the page, yes.

2 **THE CHAIR:** Mr. Goodine, could we turn
3 to page -- sorry; Exhibit N-27, PDF page 10, please.

4 **BY THE CHAIR:**

5 Q. This is the Settlement Agreement
6 that has been referenced a number of times already. Just
7 note that the Settlement Agreement in the Settlement Terms
8 boxes for many of the items, there's a reference to a
9 draft GRA. And I guess in reading this, I was left with
10 the impression, and I'm going to ask you to indicate
11 whether this is a correct impression or not, but at some
12 point in time, there was a draft sort of General Rate
13 Application that would have been provided to various
14 ratepayer representatives as part of these discussions
15 leading to the Settlement Agreement?

16 A. (Williams) Yes, there was a form
17 of a GRA that would have had the components for discussion
18 included, but it was, as you indicated, provided as a
19 draft.

1 Q. And are you able to tell me when
2 that would have been provided to ratepayer
3 representatives?

4 [9:20:08] A. (Williams) Going by memory, sir,
5 there was a number of different points in which
6 information was shared, but I believe late May would be an
7 approximate date. And that's obviously May of '25.

8 Q. Yes, thanks.

9 THE CHAIR: Mr. Goodine, if we could
10 go to PDF 13 in that document.

11 BY THE CHAIR:

12 Q. And just looking at Item G, that
13 relates to the PHP deferral, the Settlement Agreement
14 addresses revenue variances that may arise in 2026 or
15 2027.

16 A. (Williams) Yes, sir.

17 Q. Is Nova Scotia Power intending on
18 bringing another General Rate Application for 2028?

19 A. (Williams) I think at this point

1 | in time, any plans for a General Rate Application
2 | subsequent to 2027 would yet to be determined, and we
3 | would need to understand the circumstances at that time.
4 | This period was just recognizing -- the '26-'27 period was
5 | just recognising that the Board is approving rates for '26
6 | and '27 through this process.

7 | Q. Right. The deferral described in
8 | the Settlement Agreement only tracks variances over those
9 | two years. To the extent that there are variances in
10 | 2028, and there's no new rate application, those will not
11 | go into the deferral, those will be absorbed by Nova
12 | Scotia Power?

13 | A. (Williams) Or addressed, to your
14 | point, through a subsequent rate proceeding.

15 | Q. Right.

16 | A. (Williams) Yeah.

17 | Q. But if there's no subsequent rate
18 | proceeding, those would be absorbed by Nova Scotia Power?

19 | A. (Williams) That's correct. I

1 think the thinking, sir, is that by -- assuming we get
2 through -- assuming the tariff is approved and we proceed
3 on the basis that's been anticipated, we'll have an
4 understanding once we're into 2027 of how this is working.
5 And if we need to bring forward a proposal to continue to
6 deal with the PHP tariff, and any potential variances,
7 then we would do so at that point in time.

8 But I think really the approach is,
9 again, like I've said before when we're talking about PHP,
10 is it's just the cautious approach wanting to make sure
11 that we're -- yeah, just taking that cautious approach
12 during the test period, and once we get through this and
13 have a better sense of the impacts of PHP going above the
14 line, potentially going above the line, and as well as the
15 onset or the advent of Goose Harbour, then we'll be in a
16 better position to determine what would be most
17 appropriate subsequent to 2027.

18 Q. Okay. And speaking about Goose
19 Harbour, Bates White in its evidence noted that the PPA

1 | for Goose Harbour does not specify any penalty if PHP
2 | fails to reach commercial operations by the contractually
3 | specified date. Is this because the Province did not
4 | include that protection in the PPA that Nova Scotia Power
5 | was required to enter?

6 | **A.** (Williams) Yes, sir. Anything
7 | that is included in that PPA, or not included in that PPA,
8 | is as a result of what the Province would have included,
9 | or not included.

10 | **Q.** Am I correct that as a result of
11 | the proposed rate smoothing, the base cost of fuel in 2027
12 | will be set to under recover forecast fuel costs in that
13 | year by more than \$17 million?

14 | **A.** (Willett) That's correct. There
15 | would be an over-recovery in 2026, followed by the under-
16 | recovery that you mentioned. And I believe there was an
17 | IR that was responded to which would show the impacts of
18 | that change in 2028.

19 | **Q.** And in 2028, there will be a

1 resetting of the base cost of fuel?

2 **A.** (Willett) So that would be what
3 the plan of administration would note, that the BCF would
4 be updated on a two-year basis through a GRA or based on a
5 Board order. So our expectation would be that the BCF
6 would be reset in 2028.

7 **Q.** And I understand as well that
8 structurally sort of built into that rate smoothing
9 mechanism is an underlying under-recovery over the two-
10 year period of about \$800,000?

11 **(SHORT PAUSE)**

12 **MR. FLEMMING:** You are correct. There
13 is a -- we forecast at the end of the period there to be a
14 \$800,000 balance on the FAM.

15 **BY THE CHAIR:**

16 **Q.** So if your forecast for fuel over
17 '26 and '27 is perfectly accurate, at the end of that term
18 when you need to reset the base cost of fuel there will be
19 \$800,000 owing by customers to Nova Scotia Power.

1 A. (Flemming) If we -- yes, exactly.
2 If all of our forecasts for fuel for those two years are
3 exactly correct, that that's what we would forecast, yes.

4 Q. In terms of a ballpark for
5 average residential energy consumption in a year, what's a
6 good number? It would be 10,000 kilowatt hours;
7 12,000 kilowatt hours?

8 A. (Flemming) We normally use the
9 figure of 10,000 kilowatt hours for ballparking.

10 Q. Okay.

11 **THE CHAIR:** Mr. Goodine, could we pull
12 up Exhibit N-27 again, and go to PDF page 550?

13 **BY THE CHAIR:**

14 Q. This is Nova Scotia Power's
15 response to Nova Scotia Energy Board IR-133, and it sets
16 out the difference in -- for residential rates for the
17 capping of the customer charge that's proposed in the
18 Application compared to on an uncapped basis. Is my
19 understanding of what's in that table correct?

1 **A.** (Willett) That's correct. It's
2 showing the customer charge that is proposed versus if the
3 customer charge was based on the results of the Cost-
4 of-Service Study collecting the full customer costs
5 assigned in the cost of service in the customer charge.

6 **Q.** Okay. So the result for 2026,
7 then, as I understand it, is if the rates -- the customer
8 charge was not capped as proposed, the customer charge
9 would be \$9.07 per month higher for residential customers?

10 **A.** (Willett) So that's correct. But
11 one piece to note, in that scenario, if the customer
12 charge were increased it would have an offsetting impact
13 on the energy charge. So there would be an increase in
14 the customer charge but a decrease in energy charge.

15 **Q.** Decrease by 1.043 cents?

16 **A.** (Willett) That's correct.

17 **Q.** Per kilowatt hour. So just doing
18 the math there, 9 times 12 is about \$108, and using the
19 10,000 kilowatt hours per year average residential use at

1 1 cents, that's about \$100. So there's an almost equal
2 offset in that particular case?

3 A. (Willett) That's what I would
4 expect, yes.

5 Q. And so given that, what is the
6 justification for the cap?

7 [9:30:14] A. (Williams) So the cap, as it
8 were, sir, is really a continuation of the discussion from
9 the last General Rate Application. So you'll recall in
10 the last GRA the customer charge had not been altered for
11 quite some time in Nova Scotia, so there was the proposal
12 to right price, if you were, the customer charge. That
13 would have resulted in a fairly significant increase in
14 the customer charge while not impacting the overall
15 increase of electricity, as you just discussed with Mr.
16 Willett. It was seen as something that was not desired
17 from customer representatives at the time.

18 And so as part of that Settlement
19 Agreement in the last General Rate Application -- I think

1 | there was reference to it earlier in this proceeding --
2 | there was agreement to go 75 percent of the way with the
3 | incremental 25 percent remaining on the energy charge.

4 | And so really the cap is just -- is
5 | the continuation of that treatment really. I think the --
6 | and I don't want to speak for those that were advancing
7 | those positions, but I think the concern is that it
8 | generally would have a disproportionate impact on lower
9 | income customers. I think there's a discussion to be had
10 | about that, perhaps, about whether the customer charge
11 | would disproportionately impact low-income customers, or
12 | rather, would either be neutral for them or perhaps be a
13 | benefit if there was more on the customer charge. I think
14 | there is a discussion to be had about that. But the
15 | reality is that the cap in this instance is just a
16 | continuation of that discussion and the continuation of
17 | that treatment from the last General Rate Application.

18 | **THE CHAIR:** Mr. Goodine, could you
19 | pull up Exhibit 1, please, and go to PDF page 25?

1 BY THE CHAIR:

2 Q. So the impact of the capping of
3 the customer charge, in effect, result in higher energy --
4 higher than average energy users subsidizing lower than
5 average energy users; correct?

6 A. (Williams) Yeah, sorry, sir, I'm
7 just pausing on the word subsidizing. I think there's
8 certainly no debate that a higher customer charge would
9 benefit higher volume users.

10 Q. The result of the cap is that
11 higher energy -- higher than average energy users are
12 paying more than they otherwise would if the customer
13 charge was set as determined by the Cost-of-Service Study?

14 A. (Williams) I would agree with
15 that, yes.

16 Q. And this is a page from the KMKNO
17 letter that we talked about earlier, and you'll see the
18 first bullet on the page:

19 Older draft-prone or poorly insulated

1 housing results in systematically higher
2 electricity usage per household for heating
3 hot water and appliances. (As read)

4
5 You'll agree that that is something
6 that occurs not only in Mi'kmaw communities but in low
7 income areas throughout the province?

8 A. (Williams) Yes, I would, to the
9 extent that that housing stock is heated with electricity,
10 then yes, I would agree.

11 Q. Right. So in those instances
12 this proposal to cap the customer charge is actually a
13 detriment to those customers?

14 A. (Williams) So I think the other
15 side of the coin or the discussion would be that when you
16 look at the ability to fund a conversion to electric heat,
17 whether it be with heat pumps or time-of-day systems, the
18 ability to install solar, I think the -- and again I'm
19 speaking for others here -- I'm also a little hesitant to
20 do that, but I think their view would be that those types
21 of systems or sources of electricity and sources of heat

1 are available -- more readily available to higher income
2 customers. And when I say "higher income" I just mean
3 relatively speaking. And so obviously that would benefit
4 -- would reduce their uses of electricity and they would
5 benefit from the cap here.

6 Q. Right. So again the result of
7 the cap, in terms of low-income people who are living in
8 older draft-prone or poorly insulated houses and are using
9 -- with electrical heat are using higher than average
10 usage and can't afford those upgrades the cap is certainly
11 a detriment to those individuals?

12 A. (Williams) They would. But
13 again, as I was saying, those that can afford higher
14 efficiency electricity -- sources of electricity and
15 higher efficiency sources of electric heat they -- they're
16 not benefitting from this cap because the cost of -- the
17 cost to them would be higher.

18 Q. The cost/benefit analysis for
19 making the investment would be different?

1 A. (Williams) So, sir, I think --
2 maybe just circle back on this. I think the other side --
3 I mean I'm sure -- because, as I said, I don't want to --
4 I'm speaking for others to a certain extent here, in terms
5 of the rationale for the cap. But the cap would be
6 something that would be seen as -- I think the thought
7 process would be that low-income customers are using less
8 electricity, higher income customers are using more
9 electricity, usually have bigger houses, more to heat. So
10 I think there's two sides of the discussion as to whether
11 the customer charge being higher or lower positively or
12 negatively impacts low-income customers.

13 The scenario that we're referring to
14 on the first bullet on this page, though, certainly I
15 would not disagree with you that in that scenario the
16 customer charge would -- capping the customer charge would
17 result in higher costs. But again we're talking about
18 generalizations, and generalizations across the province
19 and there's, as I said, at least two sides to the

1 | discussion. But I do think it's a reasonable discussion
2 | we have, it's a worthwhile discussion we have, and what
3 | we've attempted to do here is create a compromise, if you
4 | will, where we are trying to right-price the customer
5 | charge as much as possible but still acknowledging the
6 | other side of that discussion, which is that the first
7 | bullet point in those circumstances do not apply to all
8 | low-income customers.

9 | **Q.** And is this anything that the
10 | Low-Income Working Group is working on?

11 | **A.** (Williams) It's not something
12 | that's been specifically -- so when the Low-Income Working
13 | Group was initiated as part of the last GRA this would
14 | have been a topic that was more prevalent because it had
15 | been a significant issue as part of the last General Rate
16 | Application. So it was part of the initial discussions
17 | with that group. It has not been part of the more recent
18 | discussions, which have focused more on not so much rate
19 | design or cost of service but in terms of what we

1 | practically do on the ground or on a day-to-day basis to
2 | assist customers. But I think where your question is
3 | likely going, a suggestion that it ought to be part of a
4 | discussion, is a good suggestion, sir.

5 | **THE CHAIR:** Mr. Goodine, could we go
6 | back to Exhibit N-27, please, go to page 582 in the PDF.

7 | **BY THE CHAIR:**

8 | **Q.** So this is Nova Scotia Energy
9 | Board IR-148, and you'll see in part (d) of the question
10 | that Nova Scotia Power was asked if it had the ability to
11 | detect billing anomalies that might indicate incorrect
12 | meter readings.

13 | [9:40:08] **THE CHAIR:** And if we could go to 583
14 | to the response to that.

15 | **BY THE CHAIR:**

16 | Nova Scotia Power indicated that it
17 | did have the ability to identify customer bills that
18 | exceed a pre-defined dollar value threshold for a set
19 | particular rate code.

1 Is this threshold hard coded for the
2 entire rate code or does it vary based on individual
3 customer usage, for example, 25 percent higher than
4 average use for that particular customer?

5 **A.** (Williams) It is not hard coded
6 across all -- across the customer class, sir. It would be
7 more nimble than that in addressing it on a per-customer
8 basis looking at their energy -- their historical energy
9 usage.

10 **Q.** So does Nova Scotia Power have
11 these thresholds attached to each account that it has?

12 **A.** (Williams) Sorry, sir. Could you
13 just ask the question one more time?

14 **Q.** I think the last question I asked
15 was -- it was in response to your response, which I
16 understood to indicate that there wasn't a specific
17 threshold that was set once for the entire rate code, that
18 it was more, to use your words, nimble than that. And so
19 I asked whether each individual customer account had a

1 threshold set for it.

2 A. (Williams) Yes. I don't believe
3 it's a specific threshold that's established and held
4 static, if you will. My understanding is that it's -- the
5 system will recognize when there's higher energy usage
6 than would be expected or typical, and I believe that that
7 occurs through the "My Energy Insights" program.

8 Q. So this response refers to a pre-
9 defined dollar value threshold. What does that mean?

10 A. (Williams) So again, my
11 understanding is that it's pre-defined through the system
12 in terms of the historical usage, that it wouldn't be the
13 same dollar value for every customer.

14 Q. So why does it refer to a "pre-
15 defined dollar value threshold set for any particular rate
16 code"?

17 A. (Williams) That may be something
18 I have to take away, sir.

19 Again, my understanding is that the

1 | system is specific to the customer.

2 | Q. Okay. And the threshold that's
3 | defined for the specific customer, what is that? Is it 10
4 | percent higher than average, 15 percent? How is the
5 | threshold set?

6 | A. (Williams) I think it would be
7 | appropriate, sir, if you need an answer for that, that I
8 | take that away rather than -- I think anything I'd give
9 | you would be an educated guess, but it would be a guess at
10 | this point.

11 | Q. Okay. If you could, then, what
12 | I'm looking for is if the threshold is a pre-defined
13 | dollar value, what that dollar is. If it's not pre-
14 | defined, if it's set specific for each particular
15 | customer, how the threshold is set and when it is set.
16 | And then whether that functionality was impacted as a
17 | result of the cybersecurity breach, and whether this
18 | process picked up the recent fairly notorious high billing
19 | concerns that have arisen and how it responded to that.

1 So are you able to provide all that in
2 an undertaking response?

3 A. (Williams) Yes, sir.

4 THE CHAIR: Okay. So that will be
5 Undertaking U-23.

6 UNDERTAKING U-23 - If the "pre-
7 defined dollar value threshold"
8 is a dollar value, provide that
9 value. If not pre-defined, if
10 set specific for each particular
11 customer, how the threshold is
12 set and when it is set. And
13 advise whether that functionality
14 was impacted as a result of the
15 cybersecurity breach and whether
16 this process picked up the recent
17 high billing concerns that have
18 arisen and how it responded to
19 that

1 **THE CHAIR:** Can we go to page 277,
2 please, Mr. Goodine?

3 **BY THE CHAIR:**

4 **Q.** We've looked at this before,
5 actually. There's a table that I'm going to focus on on
6 the next page.

7 In this particular IR, Nova Scotia
8 Power was asked, in effect, to show a workforce continuity
9 from compliance 2024 filing to the proposed 2026.

10 **THE CHAIR:** Just back to the responses
11 to the Information Request before the table there just
12 briefly, Mr. Goodine, if we could.

13 **BY THE CHAIR:**

14 **Q.** Some of the lead-in language to
15 the table, basically it notes that while you provided some
16 information, which was appreciated, you were not able to
17 fully respond to the IR request.

18 **A.** (Flemming) That's correct, Mr.
19 Chair.

1 **Q.** And in lines 16 to 17, we see
2 that Nova Scotia Power "cannot restate the FTEs included
3 in the 2024 compliance forecast to match the updated
4 structure on the requested timeline."

5 Can you tell me what that means,
6 exactly?

7 **A.** (Flemming) Yes, I can.

8 So this is related to the cyberattack
9 and loss of information detail related to Nova Scotia
10 Power's prior General Rate Application.

11 So the files that we stored that have
12 the backup had all the labour positions by job code, by
13 position, by department. Nova Scotia Power does not
14 currently have access to that.

15 **Q.** Okay. And is that the reason why
16 you couldn't provide the information, the requested
17 breakdown for 2025 as well?

18 **A.** (Flemming) A little bit different
19 but also related to the cyberattack.

1 Q. Okay. And how is it a little bit
2 different?

3 A. (Flemming) It's not related to
4 historic files. It's related to current reporting
5 functionality.

6 Q. You do indicate that the current
7 number of FTEs, current as of the response in 2025, I
8 guess, is 2,478, which by my math is about a 17 percent
9 increase over the 2024 compliance number. Is that
10 correct?

11 A. (Flemming. I haven't done the
12 calculation, but I'll take that.

13 Q. Okay. And if we could go to the
14 table, at the bottom there, we see that, overall, the
15 increase is about a quarter of the workforce. You've
16 expanded by a quarter between compliance 2024 and -- or
17 you're proposing to do by 2026?

18 That's my correct understanding of the
19 results at the bottom of the table?

1 **A.** (Flemming) Yes, 507 -- an
2 increase of 507 employees as compared to the 2,115 that
3 was included in 2024 compliance.

4 **Q.** And the response on the previous
5 page, we don't have to turn to it, but it also notes that
6 the figures in the table have not been adjusted to reflect
7 the 9 million reduction in OM&G expense under the
8 Settlement Agreement?

9 **A.** (Flemming) That's correct. So \$9
10 million, a large portion of our operating expense, OM&G
11 expense, is labour, so at least some portion of that will
12 have to come from labour.

13 It also doesn't reflect any reduction
14 as a result of the labour vacancy that we've built into
15 the Corporate Adjustments Department, which would be --
16 which would reflect a reduction in labour expense as well.

17 **Q.** Right. And that reduction is to
18 recognize the reality that there's churn and, at any given
19 point in time, all of the FTEs that you have on your -- in

1 the workforce are not filled.

2 A. (Flemming) That's absolutely
3 correct.

4 Q. Yeah. And in terms of the total
5 corporate groups on the table here, the first third of the
6 table, Nova Scotia Power proposes that in 2026, there will
7 be an increase of 107 positions from compliance 2024. How
8 many of these positions will be removed as a result of the
9 \$2 million reduction under the Settlement Agreement?

10 [9:50:09] A. (Flemming) I'm unfortunately not
11 able to provide a figure for you, Mr. Chair, as I noted
12 last week during conversations around the \$9 million. We
13 have not yet determined how we are going to achieve those
14 savings. The reason for that is, you know, we really did
15 go through the budget and try to achieve as much savings
16 as we thought were feasible prior to submitting this draft
17 GRA to customer representatives and stakeholders, and we
18 believe that the 9 million is a stretch and will be
19 difficult to find, and so work is underway right now in

1 | the organization, looking to find those savings, but that
2 | has not been completed as of yet, and not -- we have not
3 | allocated that between accounts or departments as of yet.
4 | We just have not made it there at this point.

5 | **Q.** So for the corporate groups,
6 | then, are you at least able to tell me what groups they're
7 | likely to come from?

8 | **A.** (Flemming) Again, Mr. Chair, we
9 | have not made that determination as of yet, but I think we
10 | would review just about every one of those groups, I
11 | think, just to make sure -- to see if there's an
12 | opportunity for savings. But unfortunately at this time,
13 | I wouldn't be able to provide you an indication of which
14 | groups that savings would come from.

15 | **Q.** Okay. So I assume same response
16 | for the \$5 million reduction in energy delivery?

17 | **A.** (Flemming) Yes. I know work is
18 | underway to achieve those savings and there have been
19 | meetings, there have been discussions, but in terms of

1 exactly where those savings are going to be found,
2 unfortunately as of now, I don't have an update for you,
3 Mr. Chair.

4 Q. And same response again for the
5 \$2 million reduction in customer experience?

6 A. (Flemming) Correct.

7 **THE CHAIR:** Mr. Goodine, if we could
8 go to Exhibit N-6, please, PDF page 25?

9 **BY THE CHAIR:**

10 Q. So this particular page, this
11 particular part of the Application is talking about the
12 various changes to OM&G, and this particular section is
13 dealing with the Customer Experience and Innovation Group.
14 On this page there's a bullet dealing with the work and
15 asset management system. There's a bullet after that that
16 refers to customer-focused initiatives. It's at the very
17 bottom of the page there. Do you see it?

18 A. (Flemming) Yes.

19 Q. Can you tell me what initiatives

1 we're talking about?

2 **A.** (Flemming) If we move down to the
3 next page, we do have a follow-up paragraph that does
4 describe some of the programs. I don't believe this is an
5 exhaustive list. There are certainly programs that are in
6 phase right now. So we just -- the My Energy Insights are
7 launched right there. So support for that. The Green
8 Button, the Time Varying Pricing, and support for
9 developers, large developers as well. So those would be a
10 -- that would be an overview of some of the customer
11 focused initiatives, but I don't believe it is an
12 exhaustive list. But that would be my understanding.

13 **Q.** And all of those items that you
14 mentioned, those are not new in '26 or '27? Those are
15 existing programs?

16 **A.** (Flemming) Yes, I take your
17 point. Not brand new, but I do believe that the scope and
18 scale of these initiatives we expect to be larger, the
19 requirement for support to be larger during the 2026 to

1 2027 period than it is currently.

2 In addition, the -- as I mentioned,
3 the large developer support program, that is a newer
4 program.

5 Q. How is the scope from My Energy
6 Insights changing in '26 and '27?

7 A. (Flemming) I believe that there
8 are -- first of all, we continue to see increased uptake,
9 and I believe that as we continue to develop the program,
10 looking to add new features to the My Energy Insights. I
11 don't have any specific details on that, but that is my
12 understanding.

13 Q. How does the new uptake drive
14 costs for Nova Scotia Power? It's a system that's
15 accessible by customers. If more customers are accessing
16 it, how does that translate into costs?

17 A. (Flemming) So Mr. Chair, I'm not
18 an IT expert. My understanding is that this is a hosted
19 solution for Nova Scotia Power and the more data that is

1 | hosted on the system, or by our contractor third party
2 | that hosts this, that does scale with the amount of data,
3 | and therefore the cost scales with the amount of data. So
4 | that would be the reason for that.

5 | **Q.** And what new enhancements are
6 | proposed for My Energy Insights in '26 and '27?

7 | **A.** (Flemming) I don't have that
8 | detail, Mr. Chair, but would be happy to ---

9 | **Q.** No, that's fine. And the Green
10 | Button initiative, how is that proposed to change in '26
11 | and '27?

12 | **A.** (Flemming) So I think what we're
13 | trying to get at here is when we talk about the growth and
14 | position here, I don't believe that Green Button was
15 | anticipated at the time of the last General Rate
16 | Application. And in terms of what has changed since 2024,
17 | I don't know the specifics of that, but I -- my
18 | understanding was that this program continued to be rolled
19 | out in 2024 through 2025, and I believe still continues to

1 be.

2 **A.** (Williams) I'll just add to that,
3 sir, just to confirm what Mr. Flemming said, and the Board
4 would be aware of this, the Green Button was a legislative
5 requirement that came in subsequent to the last General
6 Rate Application. So it's not necessarily what's changing
7 in relation to it in '26 and '27, it's that it represents
8 a step change since the last revenue requirement forecast
9 would have been provided.

10 [9:59:59] **Q.** Okay. And is the My Energy
11 Insights tool and the Green Button, are they currently
12 functioning?

13 **A.** (Williams) My Energy Insights,
14 sir, would be tied to the AMI meters and the ability of
15 those to communicate. So that would be tied to the issue
16 we discussed, I believe with Mr. Deveau last week. Green
17 Button, I think would be a similar issue. I'm not as
18 familiar with the current status of it, but I think it
19 would be similar.

1 **THE CHAIR:** Mr. Goodine, if we could
2 go back to Exhibit N-27 at page 278, please.

3 **BY THE CHAIR:**

4 **Q.** So the table is showing a 50
5 percent increase in communications and public affairs,
6 which I understand is due in part to the addition of a new
7 External Engagement Department that did not exist before;
8 is that correct?

9 **A.** (Flemming) Yes, it is correct.

10 **Q.** And why did this department
11 become necessary?

12 **(SHORT PAUSE)**

13 **MR. WILLIAMS:** So I think that work,
14 that department, sir, is kind of arising from what I think
15 would be the -- what I think I would term as kind of the
16 evolving need and desire of customers for information.
17 And so I think we're understanding and getting a better
18 understanding of how our customers want to receive
19 information and our need to communicate more effectively

1 with customers and try to identify those but also have the
2 resources to move forward with that. And so we talked
3 about a number of the different services, if you will,
4 that that group would provide to the utility in helping to
5 get messages out regarding reliability, customer service,
6 customer experience options, those types of things.

7 So I think what that really is, is,
8 like I said, it's kind of the evolution of information in
9 society in general and understanding that we need to be
10 more proactive in identifying mechanisms or mediums for
11 communication, but also getting information out there on a
12 -- more often and in a more varied fashion.

13 **Q.** How is Nova Scotia Power
14 measuring this need of customers for information?

15 **A.** (Williams) I don't think that
16 measurement is so much quantitative as it is qualitative,
17 sir, and it's responding to the feedback that we get. And
18 also, I think feedback is certainly one aspect of it, but
19 specific requests to hold, you know, things like community

1 meetings or sessions in specific communities.

2 So certainly there's a benefit to kind
3 of, I'll call it more generic communication, whether it be
4 social media or posting on websites, that type of thing,
5 but I don't think -- certainly this Board, I think, would
6 agree, there is no substitute for being in a room with
7 people and being able to have that face-to-face discussion
8 responding to questions in real time and developing that
9 personal connection, if you will.

10 Q. And are most of these requests
11 for community meeting, are they tied to community
12 frustration over reliability issues in those areas?

13 A. (Williams) So there would be
14 requests and there would be discussions certainly specific
15 to reliability, as we talked about, with the Reliability
16 Team. There's certainly community-specific issues that
17 arise, and certainly in relation to some of the hydro
18 facilities, in particular, there's a number of different
19 ways, and we've talked about that as well, the number of

1 different ways that our hydro facilities impact society,
2 impact the local communities, and so there's discussions
3 about those. There's discussions, as I said, about --
4 pre-emptively, about planned outages and how those would
5 impact communities, and trying get out and make sure
6 customers are aware of those, as I said, ahead of time,
7 proactively, but also following up with them to ensure
8 that they did receive the information, that if there's any
9 other way that it could be communicated to them more
10 effectively, then we're understanding that as well.

11 So reliability is certainly part of
12 the discussion, but it is by no means the only aspect of
13 the discussion.

14 Q. Did Nova Scotia Power provide any
15 sort of cost/benefit analysis for the creation of this new
16 department in its Application?

17 A. (Williams) I think the short
18 answer to that is no, sir. But to expand on it, I think
19 it's -- as I said, it's not so much a quantitative

1 | discussion, at least not at this point, I think it's about
2 | rolling out, it's responding to those requests.

3 | So to the extent that our customers,
4 | and those that represent our customers, are seeking those
5 | types of meetings, seeking that type of information,
6 | seeking that type of interaction, then we feel it's
7 | something that we need to respond to. And I say that,
8 | it's -- it is a measured approach. We're not -- this is
9 | something that's been developed with forethought and being
10 | responsive to those requests, but it's not a -- a
11 | cost/benefit analysis hasn't necessarily been put forward
12 | that would be quantitative in nature. It's responding to
13 | the need and it's responding to the desire.

14 | **Q.** In what way is it a measured
15 | approach?

16 | **A.** (Williams) I think it's a
17 | measured approach in that, as I said, it's trying to be
18 | responsive to the concerns and the requests and trying to
19 | hold meetings, communicate information as effectively as

1 possible. So bringing people directly to the community
2 and holding community meetings, as opposed to, you know,
3 somebody like going door to door, something like that.
4 It's trying to create economies of scale and provide that
5 information as -- in most effective and
6 most efficient manner as possible.

7 And it's the type of thing, sir, that
8 I don't know that there is one perfect way to do it.
9 Consultation is difficult, and determining the right level
10 of consultation can be difficult. We feel that what we're
11 proposing and what we're providing currently is reflective
12 of that measured approach or that balanced approach, but
13 it could prove to be that in the coming years we need to
14 adjust that approach.

15 Q. In your Five-Year Reliability
16 Plan you make comments around the need to balance
17 reliability with affordability; correct?

18 [10:10:03] A. (Williams) Yes, sir.

19 Q. And how do you balance the need

1 | for affordability with increasing costs in these areas of
2 | consultation that we're talking about? What's the
3 | calculus there?

4 | **A.** (Williams) So, sir, I think the
5 | balance is much of what we've talked about already where
6 | we do see going to -- and I won't go through it again --
7 | all the work we've done to reduce cost and drive cost
8 | down. But certainly this process, in and of itself, and
9 | the work we did ahead with customer representatives to
10 | identify what was a reasonable revenue requirement to come
11 | forward with we see as a key part in achieving that
12 | balance.

13 | I think the other part of the
14 | discussion in relation to the community outreach and
15 | having those discussions with customers so we -- you know,
16 | one part of reliability is understanding customers
17 | frustrations, understanding customers expectations. The
18 | other part of it is ensuring that we have -- and whether
19 | you want to call it a relationship or a social licence,

1 | but a big part of doing reliability group is having the
2 | ability to go on to customers lands and cut trees and do
3 | the work that is needed to ensure that reliability. So a
4 | lot of that work isn't possible without those types of --
5 | those meetings, and that outreach, and that -- and again
6 | whether you want to call it a relationship or social
7 | licence, it's the same thing, in essence, really. It's
8 | that trust and it's that understanding of what needs to be
9 | done.

10 | **Q.** And unlike the reliability plan
11 | for your proposed growth in consultation and engagement,
12 | you haven't developed a formal overall plan that's been
13 | filed with the Board or regular Intervenor that has been
14 | costed out and that has particular measures or targets?

15 | **A.** (Williams) So, no, we haven't
16 | provided a plan obviously that's similar to the
17 | reliability plan in terms of the level of depth, but I do
18 | think, to a certain extent, we've provided, in terms of
19 | our intentions and the description in Appendix 7(a) in

1 particular, where near as the business in which would
2 benefit from those services.

3 **Q.** Over the 2024-2026 period there's
4 growth by about a quarter in human resources and safety
5 group, which I understand is to reduce serious injury
6 frequency, to attract skilled employees, and support
7 diversity, equity and inclusion programs; correct?

8 **A.** (Flemming) Yes, Mr. Chair.

9 **Q.** What is Nova Scotia Power's
10 record with serious injuries, and what is the targeted
11 level of improvement that the additional resources are
12 intended to achieve

13 **A.** (Flemming) Mr. Chair,
14 unfortunately I don't have the safety statistics here with
15 me, but happy to take those away. They would be readily
16 available from our safety team.

17 In terms of Nova Scotia Power's goal,
18 I think one of the things that, you know, I'd note is that
19 the company has seen significant growth, has seen

1 significant growth in customer-requested work, and as the
2 size of the workforce as the size of the contractor force
3 expands it is, from the company's perspective, important
4 to scale the safety staff with that to make sure that
5 there is safety supervision, to make sure appropriate
6 safety programs are in place.

7 In terms of the company's goal, it's
8 world-class safety, best-in-class safety, that everybody
9 goes home safe everyday, whether that be a Nova Scotia
10 Power employee or a contractor.

11 And, Mr. Chair, we have located the
12 safety incident frequency figures. Very happy to report
13 that Nova Scotia power had a safety incident frequency of
14 zero for 2025 -- serious injury frequency; excuse me.

15 **THE CHAIR:** Mr. Goodine, could we go
16 to page 315 in Exhibit N-27, please?

17 **BY THE CHAIR:**

18 Q. So line 4 refers specifically to
19 further reducing serious injury frequency. Not much

1 reduction you can do from zero.

2 A. (Flemming) Sure. At the time,
3 Mr. Chair, when that response is written the 2025 figures
4 were not final and so we would have been looking at prior
5 year figures. So unfortunately we did have a serious
6 injury frequency of .15 in 2024. But zero is always the
7 goal.

8 Q. Okay. And so there's no -- other
9 than zero, there's no specific target reduction number
10 that you were striving for with the additional investment
11 here?

12 A. (Flemming) I would say that for
13 serious injury frequency, zero is always the goal for Nova
14 Scotia Power.

15 Q. What new diversity, equity and
16 inclusion programs are planned for '26 and '27?

17 A. (Flemming) Mr. Chair, before I
18 answer that question, just to expand on my last response,
19 if that's okay?

1 Q. Sure.

2 A. (Flemming) Just wanted to note
3 that in addition to the serious injury frequency there are
4 other safety metrics that Nova Scotia Power tracks. So it
5 is not just about serious injury frequency. We do want to
6 limit all types of, you know, whether that be a lost-time
7 injury or even injuries that are more minor. Thank you
8 for the opportunity to supplement.

9 In terms of the diversity, equity and
10 inclusion programs, what is planned for 2026 and 2027 ---

11 Q. New. What is new?

12 A. What is new? I don't have that
13 response for you, Mr. Chair, I apologize, other than to
14 say that Nova Scotia Power is committed and remains
15 committed to DEI initiatives.

16 **THE CHAIR:** If we could go back to
17 page 278, please.

18 **BY THE CHAIR:**

19 Q. So the HR staff is proposed to

1 | increase 25 percent from compliance 2024 to 2026, and as I
2 | understand it, costs are proposed to increase in the group
3 | 40 percent from restated 2024 compliance to 2026.

4 | [10:20:10] This continues a trend of increasing
5 | HR staff and costs since 2019; correct?

6 | **A.** (Flemming) Yes, subject to check.

7 | **Q.** Okay.

8 | **THE CHAIR:** Mr. Goodine, could we go
9 | to page 400, please?

10 | **BY THE CHAIR:**

11 | **Q.** So this is from the ScottMadden
12 | Report, and the timeframe looked at in their study is 2019
13 | to 2023, as I understand it.

14 | We see the third bullet under
15 | "Observations" on the right-hand side, NSPI:

16 | Number of business entity employees
17 | increased 11% in nominal terms from 2019 to
18 | 2023 while the number of HR function FTEs
19 | increased by 15% over the same timeframe.

20 |
21 | You see that?

22 | **A.** (Flemming) Yes, I do.

1 Q. Okay. Now, as I interpret it,
2 this is telling me that your HR staff increased at a
3 higher rate than the increase in staff overall in the
4 organization?

5 A. (Flemming) Yes, I would agree
6 with that. So 15 percent increase in HR function as
7 compared to 11 percent in overall business entity
8 employees.

9 Again, I believe that is due to the
10 growth, the significant growth that we've seen in Nova
11 Scotia Power, and I believe that we likely did not have
12 enough HR staff at the -- at the 2024 levels -- or excuse
13 me, at the 2019 levels.

14 **THE CHAIR:** And Mr. Goodine, if we
15 could go to the previous page, 399.

16 **BY THE CHAIR:**

17 Q. You see in the third bullet under
18 "Observations" that ScottMadden notes that:

19 Nova Scotia Power's number of employees

1 increased by 11% but its total HR costs
2 increased 41% in the same timeframe.

3
4 Is there any reason why costs almost
5 doubled when workforce only increased by 11 percent?

6 **A.** (Flemming) So yes, there's a
7 number of reasons.

8 So as we noted, there has been a
9 significant increase in the amount of employees required
10 for Nova Scotia Power in order to provide service to
11 customers.

12 **Q.** Eleven (11) percent over this
13 period.

14 **A.** (Flemming) That's right.

15 In addition to that, there is -- there
16 are costs related to Nova Scotia Power's shared services
17 with Emera's and, as the company grows on a total basis,
18 there is an increased allocation of those costs to Nova
19 Scotia Power.

20 The company has invested significantly
21 in attracting certain skill employees. There has been

1 | some difficulty in attracting certain skillsets. There is
2 | a shortage overall in Canada, so making sure that we have
3 | appropriate staffing and programs in place, in order to
4 | attract and retain those skillsets that are required to
5 | provide service to customers, and as well there -- there
6 | were costs associated with administrative software fees
7 | associated with making that -- making that employee
8 | attracture [sic] or employee recruitment process less
9 | labour intensive.

10 | **Q.** In terms of the split in
11 | resources for HR between Nova Scotia Power and Emera, can
12 | you tell me how that is -- what the breakdown is, who does
13 | what?

14 | **A.** (Flemming) So there are a number
15 | of functions within our Human Resources Department so I
16 | would be hesitant to try to go through all the functions
17 | and state which company has which. But again, certainly
18 | it's something that would be readily available from our HR
19 | Department.

1 Q. Okay. And in the ScottMadden
2 report as well, it notes that, "NSPI's total HR costs per
3 FTE in 2023 is 21% higher than the industry group median."
4 You see that?

5 A. (Flemming) I do, Mr. Chair.

6 Q. And as you'd indicated, the
7 inability to be able to hire qualified resources is a
8 phenomena that is experienced in Nova Scotia, in Canada,
9 in North America and internationally; correct?

10 A. (Flemming) That is my
11 understanding, but I believe it is more pronounced with
12 electric utilities. And the APQC median, my
13 understanding, is it does include other utilities. It
14 does include utilities such as gas, water, that type of
15 thing. And my knowledge of those utility industries is
16 much more limited.

17 Q. And ---

18 A. Sorry.

19 Thank you, Mr. Chair. Go ahead.

1 Q. So to the 21 percent figure
2 there, would that include the costs for the services
3 provided by Emera as well?

4 A. (Flemming) Yes, the total HR cost
5 per employee of 15.67, that would include, yes, the shared
6 services costs -- the portion that is allocated to Nova
7 Scotia Power.

8 Q. Okay.

9 THE CHAIR: Mr. Goodine, if we could
10 turn to page 314, please.

11 BY THE CHAIR:

12 Q. So this is Nova Scotia Energy
13 Board IR-62, and Nova Scotia Power was asked generally
14 about the increases in HR costs. And I want to look at a
15 particular part of the response, so I'm looking at page
16 316 now at lines 9 and 10. It says:

17 Nova Scotia Power continually evaluates the
18 required human resources complement of
19 programs that are required to provide
20 customers with improved value. In addition,
21 the Company evaluates whether services are

1 more economic to provide with internal staff
2 or outsource to a third party and operates
3 on a shared service model for some human
4 resources and safety functions to improve
5 economies of scale.
6

7 Has any evaluation been presented to
8 the Board in your evidence in this Application about the
9 evaluation of required human resources or the evaluation
10 of whether services are more economic to provide
11 internally or outsourced or with respect to the shared
12 services model?

13 A. (Flemming) Nothing that we're
14 aware of that has been provided as part of this
15 proceeding, Mr. Chair.

16 **THE CHAIR:** Mr. Goodine, if we can go
17 back to page 278, please?

18 **BY THE CHAIR:**

19 Q. So looking at the table, we see
20 another approximately 25 percent or quarter growth in
21 staffing in facilities procurement and security and a 17
22 percent increase in thermal plants. And I understand that

1 | these are in part because you did not close down coal
2 | plants, as you'd indicated you were going to in your last
3 | General Rate Application?

4 | [10:30:07] **A.** (Flemming) Correct, Mr. Chair.

5 | **Q.** And if we look at growth in
6 | solar, hydro, and wind energy, I understand that a
7 | significant part of the increase showing there is needing
8 | more people to manage aging hydro resources?

9 | **A.** (Flemming) Yes. But in addition,
10 | though, aging wind assets and dam safety programs would be
11 | two other significant contributing factors.

12 | **Q.** And in terms of -- sorry; just
13 | one moment. And in terms of the additional staffing in
14 | environment, again, a significant part relates to
15 | maintaining hydro resources?

16 | **A.** (Flemming) Yes, this would be --
17 | certainly -- that would certainly be a contributing
18 | factor. So increase in Departments of Fisheries and
19 | Oceans' Regulations is a contributing factor, as well as

1 | ongoing engagement with our Mi'kmaw partners.

2 | **Q.** In terms of the proposal to defer
3 | the costs related to this General Application and amortize
4 | them for recovery over the test years, this has not been
5 | allowed before in Nova Scotia; correct?

6 | **A.** (Flemming) To my knowledge, that
7 | is correct. I will note that there are costs of service
8 | costs included in the amount, which was ordered -- which I
9 | believe is allowable, per Board direction.

10 | **Q.** No, and that's a fair
11 | distinction. But in terms of just the rate case costs,
12 | those have never been allowed in Nova Scotia?

13 | **A.** (Flemming) That's correct, yes,
14 | as far as I'm aware.

15 | **Q.** And you may recall from the last
16 | General Rate Application, there was a discussion about
17 | jurisdictions such as Massachusetts where rate case costs
18 | are normalized operating costs in the period between rate
19 | applications? But this doesn't seem to have been

1 | considered by Nova Scotia Power. Instead it seems that
2 | the company wants to start a perpetual cycle of putting
3 | these operating costs in rate base and earning a return on
4 | them. Why is that?

5 | **A.** (Williams) So I don't -- the
6 | focus of the proposal is not so much on rate basing those
7 | costs and earning a return, it's on recognizing the
8 | volatility of those costs. And I think this proceeding
9 | would be an excellent example of how those costs can vary.

10 | The significance of the proceeding,
11 | the volume of work that -- and resources that go into
12 | these proceedings, it can vary, and this is a prime
13 | example of that. So it's not so much about how you termed
14 | it. It's about recognizing the -- as I said, the
15 | volatility of those costs and the unpredictable nature of
16 | them.

17 | **Q.** And these costs are operating
18 | costs?

19 | **A.** (Williams) They would be

1 | operating costs and material.

2 | **Q.** Sorry?

3 | **A.** (Williams) Material.

4 | **Q.** Okay. What is your projected
5 | General Rate Application cost for this Application?

6 | **A.** (Flemming) Mr. Chair, our
7 | understanding, or our best estimate right now of the --
8 | and we have been looking on this on a combined basis. So
9 | a GRA and cost of service deferral. So our best estimate
10 | is still \$4 million; in that area, \$4 million. However,
11 | as part of the Consensus Agreement reached with customer
12 | representatives, Nova Scotia Power agreed to reduce that
13 | by half, down to \$2 million.

14 | **Q.** Okay. And your OM&G costs in
15 | 2026 are \$352 million?

16 | **A.** (Flemming) Yes, our forecast OM&G
17 | for the 2026 test period is \$351.8 million.

18 | **Q.** Right. And so can you explain to
19 | me, in terms of Mr. Williams's comment about materiality,

1 | how these costs are material in the light of the total
2 | amount of OM&G, focusing in particular on not the total
3 | amount, but the amount that you might be off by?

4 | A. (Flemming) You know, I don't want
5 | to speak for Mr. Williams, but I interpret it to mean that
6 | the total amount is material. And Nova Scotia Power, when
7 | thinking about how to approach this, you know, we thought
8 | that it was -- this was the most appropriate way to go
9 | about it because of the volatility and the impact that it
10 | could have on Nova Scotia Power or customers of not having
11 | the timing or the amount of this correct. So certainly
12 | Nova Scotia Power could normalize some amount into its
13 | revenue requirement and have that for future General Rate
14 | Applications, but, you know, as we've tried to convey, the
15 | potential for Nova Scotia Power to have timing issues, in
16 | terms of maybe Nova Scotia Power doesn't require a General
17 | Rate Application and now it has amounts that is included
18 | in its revenue requirement that it's charging and
19 | collecting from customers, or to the extent that the scope

1 of the General Rate Application is significantly larger or
2 significantly lower, you know, that has the ability to not
3 reflect the company's actual cost of service. And I know
4 that there is a certain amount of that that does occur as
5 a natural part of the rate-setting process, but to Nova
6 Scotia Power, when we thinking about having an amount in
7 revenue requirement for a General Rate Application,
8 charging that to customers, and not proceeding, you know,
9 it didn't feel like the right approach to the company.
10 And, you know, in terms of the materiality to it,
11 certainly I think most customers would think it's
12 material, and in terms of Nova Scotia Power's bottom line,
13 has the ability or the potential to certainly be material
14 to that figure.

15 A. (Williams) Just one moment, sir.

16 (SHORT PAUSE)

17 MR. WILLIAMS: And sorry, I apologize,
18 sir, so I may be repeating some of what Mr. Flemming said.
19 I was just conversing with Mr. Willett for a brief period

1 | there. But since I was -- it was my comment, I guess I'll
2 | weigh in.

3 | When I was speaking to the materiality
4 | of it, I recognize your point about certainly a variation
5 | would something less than what the total would be, but the
6 | position and the revenue requirement has been put forward
7 | and it's not included in the revenue requirement, so any -
8 | - we are talking about the whole amount, not a -- not a
9 | variation of it. But I understand your point.

10 | Q. And it's not included in the
11 | revenue requirement; it's not going to be incurred in '26
12 | or '27 either. It's an operating cost in '24 and '25;
13 | correct?

14 | [10:40:03] A. (Williams) That's correct.

15 | Q. And Mr. Flemming -- sorry. Go
16 | ahead.

17 | A. (Williams) Sorry. I'm just
18 | getting it from both sides that -- and '26 as well.

19 | Q. The small amount in '26.

1 **A.** (Williams) Correct. But my point
2 was that it was not in revenue requirement in '23 or '24,
3 either, so...

4 **Q.** Yeah. And in terms of the
5 discussion that we had last time at the General Rate
6 Application and the potential for normalizing those costs,
7 why wasn't that considered?

8 **A.** (Flemming) I think it was, Mr.
9 Chair. I think Nova Scotia Power has tried to convey its
10 position that setting the revenue requirement or trying to
11 put an amount in for a revenue requirement for a -- for
12 its next General Rate Application, which could be many
13 years away. I certainly don't expect it to be a decade
14 like it was at one point, but it could be a few years
15 away, so I think that the timing and the amount could be
16 significantly different, and again, Nova Scotia Power
17 could be charging customers for expenses that it doesn't
18 require as part of its cost of service or vice versa.

19 And setting this closer to the time

1 | when it's actually incurring those costs while the General
2 | Rate Application is under development, while there is
3 | still the potential for some variance from forecasts in
4 | terms of the actual cost, the timing and the amount is
5 | much more certain and, therefore, from Nova Scotia Power's
6 | perspective, is a better match to the cost of service and
7 | the revenue requirement.

8 | **Q.** And in terms of your comment
9 | about normalizing these costs and operating costs and not
10 | coming back in for a rate application and potentially then
11 | recovering costs from customers unnecessarily, that's sort
12 | of the gist of what you just said?

13 | **A.** (Flemming) And I think it goes
14 | both ---

15 | **Q.** Just that's the gist of what you
16 | just said?

17 | **A.** (Flemming) Yes, with one
18 | clarification.

19 | **Q.** Yeah.

1 A. (Flemming) That it does go both
2 ways, right.

3 Q. Yeah.

4 A. (Flemming) So it could be --
5 could be on the flip side of that as well.

6 Q. If you come in earlier.

7 A. (Flemming)

8 Q. And you're proposing to recover
9 these costs over two years.

10 A. (Flemming) The reason we're
11 proposing to recover it over two years is that's the term
12 of the ---

13 Q. Sure.

14 A. (Flemming) --- General Rate
15 Application.

16 Q. And if you don't come back in for
17 a rate application in 2028, you will continuing --
18 continue to recover those costs from customers until you
19 do?

1 A. (Flemming) It's a fair point
2 because it would be in our 2027 General Rate Application.
3 Yeah, I completely agree with that. Nova Scotia Power
4 would assume that there would be other costs of service,
5 inflationary pressures, that type of thing that would take
6 the place of that.

7 Q. Right. But at least ---

8 A. (Flemming) But your point's well
9 taken.

10 Q. At least in terms of your
11 objection to why you didn't normalize it, you're in the
12 same boat when you amortize it.

13 A. (Flemming) Yes, but the other
14 point being that the amount and the timing of the General
15 Rate Application is much better known at that point.

16 Q. And the other point of
17 distinction is you earn a return on it if you defer it and
18 amortize it?

19 A. (Flemming) Yes. Yes, you

1 absolutely would. Yes. Yeah. And it's a two-year
2 period.

3 Q. Unless you don't come in back for
4 a rate application, and then it will go on until you do.

5 A. (Flemming) Again, correct, except
6 that Nova Scotia Power would not have that in its rate
7 base ---

8 Q. Fair.

9 A. (Flemming) --- with the ability
10 to earn a return.

11 MEMBER DEVEAU: While the Chair's
12 looking for his next question, in terms of the GRA and,
13 say, your regulatory affairs budget, how's that -- how is
14 the volatility that you describe any different than the
15 other regulatory schedule that you have?

16 I mean, yes, you do have certain
17 matters that come in year after year, but if there's
18 anything that's characterized the last five years, let's
19 say, is that no year is the same and there's always unique

1 type of proceedings that come before the Board, given the
2 transition and other factors, so -- you know, including
3 the FLG 2 last year, Wasoqonatl. You had counsel here for
4 that. The ESS, you had counsel here for that. You had
5 other matters related to integration and customer --
6 distributed energy resources and power purchase agreements
7 and -- so how -- and some of those were quite significant,
8 as well, proceedings.

9 So how is the volatility in the GRA
10 any different than the remainder of your regulatory
11 affairs schedule?

12 (SHORT PAUSE)

13 MR. FLEMMING: So Mr. Vice Chair, from
14 my perspective, the forecast for Regulatory Affairs
15 Department, it includes a certain level of expected
16 spending, and that is built up with the expectation that
17 there are going to be certain known filings, proceedings,
18 that type of thing. And the company does its best to
19 forecast and then build it into its revenue requirement.

1 So you know, our position would be
2 that the regular outside of the General Rate Application
3 spending, that would be included in the company's revenue
4 requirement.

5 There is absolutely some volatility
6 associated with it like there would be with other
7 departments as well, but the company does its best to
8 incorporate that in its understanding at the time of the
9 forecast.

10 Your point is well taken that there
11 have been some large proceedings that have included some
12 significant cost, but from our understanding at the time
13 when we built this forecast was that the GRA kind of
14 stands alone and apart in being amongst the company's most
15 costly procedures, and for that reason, the company took
16 the approach that it did.

17 MR. WILLIAMS: Maybe if I could just
18 add to that, Mr. Deveau, I think -- I agree with
19 everything Mr. Flemming said.

1 I think really what we -- when we look
2 at our potential regulatory proceedings, we certainly have
3 one grouping of proceedings that is on a somewhat regular
4 cadence or -- you know, when you look at FAM, you look at
5 ACE, you look at our capital routines, there's a number of
6 things that we know are going to happen every year, every
7 second year on that regular cadence and they're, you know,
8 fairly easy to budget for, relatively speaking.

9 There's maybe another group that is
10 kind of some of the things that you were mentioning, Mr.
11 Flemming mentioned that we know we're going to have other
12 proceedings that pop up, whether it arises from
13 legislation, whether it arises from, you know, customer
14 initiatives. So we can -- we can have an aspect of the
15 budget that addresses that as well, and it's -- the
16 unpredictable nature of that is somewhat difficult, but I
17 don't think reasonable for us to go forward and propose a
18 deferral account for that significant an aspect of our
19 regulatory budget.

1 The General Rate Application is
2 perhaps unique, as Mr. Flemming described, because of its
3 predictable but yet unpredictable nature in that you know
4 you're going to need to come forward with them so we can
5 identify the need for -- it can be assigned a deferral
6 account because we know we're going to come forward with
7 one. It's not like some of these other proceedings where
8 they're nebulous. We know there's the potential for
9 regulatory spend, but we don't know what it's related to.

10 But a General Rate Application -- and
11 again, I go back to this as an example -- it can vary in
12 terms of its scope, in terms of the process that's
13 involved, in terms of the cost, the expenses, the
14 resources, and not just because of -- just one minute
15 here.

16 Not just because of the potential for
17 consensus or settlement or something like that, but the
18 issues that arise as a result of it can vary significantly
19 between rate applications or within a test period.

1 So I mean, we see an example of that
2 when we look back at the last General Rate Application and
3 we had, you know, the advent of the DDA, the storm rider,
4 DSM rider, a number of different things that were being
5 proposed, whereas this -- we would see this General Rate
6 Application as being more akin to -- I'm hesitant to say a
7 generic General Rate Application because none of them are
8 necessarily generic, but it's more confined in terms of
9 focused on the revenue requirement and determination of
10 rates.

11 **MEMBER DEVEAU:** Well, the last one was
12 a little unusual because you hadn't come in in 10 years.
13 So I would think in terms of, you know, following that,
14 unless you're -- you know, unless you're prepared to tell
15 us today you're not coming in for another 10 years, that's
16 another matter, but I would think it would be easy -- if
17 General Rate Applications are going to come in more
18 consistently, whether it's every two years or three years
19 or -- it would be easier to normalize those costs, like

1 | other regulatory proceedings, than not normalizing them.

2 | [10:50:25] MR. WILLIAMS: So I agree, it was the
3 | first time in roughly 10 years. But when you look at --
4 | if you were to discuss that kind of in a vacuum and you
5 | were saying, "Well, if you haven't been in for 10 years,
6 | what are the things that you would maybe see?" and you
7 | would have maybe expected to see a more in-depth review of
8 | depreciation cost of service last time around. But we
9 | didn't see that, despite it was 10 years, we're seeing
10 | that now. We saw additional issues that arose last year.

11 | And that's really, I guess, what I'm
12 | getting at, is you can expect General Rate Applications,
13 | but the scope of it and the timing of it is not
14 | necessarily as predictable as some of our other
15 | applications. And I know it's perhaps counterintuitive
16 | that it's somewhat the predictable nature of it that makes
17 | it more appropriate for a deferral because -- but by that,
18 | I mean you can identify the need for it. So you need that
19 | deferral for it, but the costs that would be associated

1 with it are -- can vary. And to your point, you know, the
2 last one was a unique one, but some of the issues that you
3 would have thought would have been significant issues
4 because of that 10-year period, were not, and others were.
5 So it can vary.

6 MEMBER DEVEAU: Well, certainly, there
7 was the recognition that there should have been a
8 Depreciation Study filed before this particular GRA, but
9 in any event, I'll leave that. You can respond if you
10 wish, but...

11 MR. WILLIAMS: I understand your
12 point, sir, and we've brought the Depreciation Study
13 forward as -- in a time that we believe was consistent
14 with the Board directive, and we, as you're well aware, we
15 brought it forward with the -- with customer
16 representative support.

17 THE CHAIR: Mr. Goodine, if we can go
18 to Exhibit N-6, please, PDF page 99. And there's a table
19 further down on the page. It might be -- yeah, it's

1 further down. There we go, that's it. I just gave you
2 the wrong page reference. Apologies.

3 **BY THE CHAIR:**

4 Q. Mr. Williams, I suspect these are
5 for you.

6 Did Nova Scotia Power include
7 compensation for executives in the 2026 and 2027 test
8 years on the same basis as shown in the calculations for
9 2024 on Figure 1?

10 A. (Flemming) Yes, Mr. Chair.

11 **THE CHAIR:** And Mr. Goodine, if we
12 could go to Exhibit N-58, page 8.

13 **BY THE CHAIR:**

14 Q. Which of these five scales
15 applies to Deputy Ministers?

16 A. (Williams) Yeah, I think this
17 goes back to the discussion we had last week, sir. So I
18 think what was done was that the pay scales, and I
19 recognize your point from last week that there was only

1 two and there was specific -- they were expressly set out
2 as being applicable to Deputy Ministers and Associate
3 Deputy Ministers. And so here, we don't have the benefit
4 of those descriptors, so I -- my understanding of what was
5 done was that in the previous pay plan, while there was
6 only two, it was assumed, again, that the Deputy
7 Ministers' pay scale was the SO5 that we see here.

8 Q. Yeah, so that was an assumption
9 that you made?

10 A. (Williams) That's my
11 understanding, yes, sir.

12 Q. And what did you assume -- who --
13 what -- did you assume SO1 to SO4 was covered by the
14 Associate Deputy Ministers?

15 A. (Williams) I can't speak
16 specifically to what was assumed on 2, 3, and 4, or 1 for
17 that matter, but I think, yes, the assumption would have
18 been that it's a variety of different pay scales or
19 positions that would be under the Deputy Ministers, which

1 | were understood to be the ranking public officials on this
2 | pay scale.

3 | **Q.** And you also are aware that at
4 | around the same time as government changed the senior
5 | officials pay plan to the new structure it also introduced
6 | a new Executive Deputy Minister position?

7 | **A.** (Williams) I am now, sir, yes.

8 | **Q.** And when did you become aware of
9 | that?

10 | **A.** (Williams) Specifically, I do not
11 | know, but within the last few months, yes.

12 | **Q.** When does Nova Scotia Power
13 | expect its appeal over tax deductions disallowed by the
14 | Canada Revenue Agency to be heard in the Tax Court of
15 | Canada?

16 | **A.** (Flemming) We still do not have a
17 | date set at this time, Mr. Chair.

18 | **Q.** When do you expect that to be?

19 | **A.** (Flemming) Hopeful that it will

1 be -- oh, sorry. Just one moment, please.

2 (SHORT PAUSE)

3 MR. WILLIAMS: So sorry. I think the
4 response that we provided in relation to NSEB IR-60, and
5 that's sub (a), sub (iv), it says:

6 ...the timing for next steps in the
7 litigation is currently unknown and the
8 process and scope of those steps will be
9 impacted by matters outside of [Nova Scotia]
10 Power's control...

11
12 I don't believe we have an update to
13 that.

14 Q. Okay. So when do you expect
15 there to be a trial? Appreciate it's unknown for sure,
16 but you must have an expectation of when it will be.

17 A. (Williams) I don't that I would
18 be -- that would be appropriate for me to put forward, but
19 we can take that as an undertaking and provide you with an
20 update.

21 Q. Okay, well I'm not going to ask
22 for that now. Do you expect it will be in the '26-'27

1 time period?

2 A. (Williams) So I can confirm that
3 is the expectation, but that -- I mean, what we've seen
4 thus far is multiple delays in that court schedule, and so
5 that's my hesitation to confirm anything.

6 Q. Okay. But your current
7 expectation is sometime within the test years.

8 A. (Williams) That's our
9 understanding.

10 Q. Okay.

11 **THE CHAIR:** Mr. Goodine, could you
12 pull up Exhibit N-5, please, and go to page 26.

13 **BY THE CHAIR:**

14 Q. And Mr. MacIntosh, these
15 questions are going to be about the Climate Change
16 Adaptation Plan. I assume that's probably aimed at you.

17 A. (MacIntosh) Yes, sir.

18 **THE CHAIR:** Mr. Goodine, could you go
19 to page 29, please.

1 **BY THE CHAIR:**

2 Q. The fifth paragraph down on the
3 page says:

4 To better prepare for the future, [Nova
5 Scotia] Power has obtained climate scenario
6 data that provides insights into the degree
7 of impact that can be expected on its assets
8 and operations. We also commit to
9 continuing to enhance our understanding of
10 the changing climate as more data becomes
11 available and models improve.

12
13 And then the start of the next
14 paragraph:

15 To understand and assess the potential risks
16 to [Nova Scotia] Power assets from climate
17 change, [Nova Scotia] Power is integrating
18 the climate adaptation process into [its]
19 existing asset risk management process.

20
21 Mr. Macintosh, are these statements
22 sort of the essence of the plan that was presented here?
23 There's a collection and analysis of climate data and then
24 feeding it into the existing asset management system?

25 [11:00:04] A. (Macintosh) Yes.

26 **THE CHAIR:** Mr. Goodine, if we could

1 go to page 34, last line on the page.

2 **BY THE CHAIR:**

3 Q. It's noted here that the plan
4 excludes impacts associated with employee health and
5 wellness. Can you tell me why that's the case?

6 A. (Macintosh) The asset management
7 mechanism associates and aligns with our company risk
8 profile. So the criteria inside the asset management
9 mechanism on your category of risks there's one allocated
10 to safety. So it's not directly related to employee
11 health, but there is a safety component associated inside
12 our asset management mechanism. The asset management
13 mechanism does not strictly outline employee health and
14 wellness.

15 Q. Fair. Why doesn't your Climate
16 Change Adaptation Plan, is I guess the question?

17 A. (Macintosh) The company has other
18 programs and departments that are responsible through
19 policies for employee health and wellness so that's why

1 | it's not included within this plan.

2 | **Q.** Okay. So you didn't contemplate
3 | or give thought to, in this particular plan, about how the
4 | changing climate conditions may have an impact on employee
5 | health and wellness?

6 | **A.** (Macintosh) No, we did not. I
7 | would just say some of that climate modelling we did use
8 | for average temperatures and heat we would have provided
9 | that to the safety departments for enhancements to the
10 | safety programs around working in high temperatures. So
11 | looking at alternatives such as cooling vests if you were
12 | in a hot environment. So taking that data from future
13 | climate and looking and implying that into our safety
14 | programs.

15 | **Q.** Okay. So can you just elaborate
16 | on how that occurred or sort of on the ground what that
17 | looked like as you were going through developing your plan
18 | and how that fed into the safety side of things?

19 | **A.** (Macintosh) Yes. So the Climate

1 | Adaptation Plan would have encompassed modelling, and that
2 | modelling that we did do had average ambient temperatures
3 | looking out in the forward. The data from that would have
4 | been shared with our safety professionals, and there are
5 | also sub working groups across Emera that would also share
6 | with one another climate data, and that's how that data
7 | would have been shared.

8 | Q. Okay.

9 | THE CHAIR: Mr. Goodine, if we could
10 | go to page 51 now.

11 | BY THE CHAIR:

12 | Q. I'm looking at the paragraph
13 | underneath the green box. This paragraph notes that:

14 | The asset classes or operational areas
15 | evaluated includes transmission lines,
16 | distribution lines, substations, thermal
17 | generating stations, hydroelectric
18 | generation stations, and wind generating
19 | assets. Through this process [Nova Scotia]
20 | Power has developed a deeper understanding
21 | of the vulnerabilities for these different
22 | operational [assets].

23 |
24 | I didn't actually see anywhere in this

1 | document where specific vulnerabilities associated with
2 | each of these classes were explicitly identified, and
3 | mitigation measures and timelines to address them set out.
4 | Did I miss that?

5 | **A.** (Macintosh) No, Mr. Chair. There
6 | was a number of examples included if you scroll down into
7 | the report. But the management system to categorize older
8 | risk is included in our Climate Adaptation Management
9 | System, the CAM System. So that's a database system that
10 | includes all of our climate factors and how those are
11 | assigned to the specific asset classes as we outlined
12 | here.

13 | **Q.** So why doesn't this plan sort of
14 | identify what this valuable information is that you've
15 | gathered about the vulnerabilities and identify the
16 | potential mitigation measures and the timelines for the
17 | Board and interested parties? It all seems to be under
18 | the hood, as it were, in the asset management system. Why
19 | isn't it included transparently in the plan?

1 A. (Macintosh) So these factors
2 evolve over time. The company does deploy systems or
3 asset management mechanism system, which includes the
4 input of climate risks in our risk profiles, as well as
5 the Climate Adaptation Management System which house
6 those. But I appreciate your point that there are, I'll
7 say, thousands of lines of associated data that is
8 included in our climate modelling that's assigned to these
9 assets. So we try to provide a sample of that inside this
10 Climate Adaptation Plan, which is really trying to outline
11 the methodology Nova Scotia Power used to incorporate
12 these climate factors into our plan processes. But
13 appreciate the point again that there's much more data
14 that's associated with this and how those are assigned to
15 our specific asset classes.

16 **THE CHAIR:** Can we go to page 55, Mr.
17 Goodine, and just -- yeah, okay, that's great.

18 **BY THE CHAIR:**

19 Q. So you said a moment ago we could

1 scroll down and see some examples. I think this may be
2 what you were referring to, Mr. Macintosh?

3 A. (Macintosh) Yes, sir.

4 Q. Okay. So this is an example of
5 an assessment that has been done in respect of Tufts Cove.
6 What I see here, you talk about sea level rise and storm
7 surge, but what I don't see is any discussion about how
8 this will be addressed or even the options that might be
9 considered to address that. Why is that?

10 A. (Macintosh) Yes, Mr. Chair. So
11 back to the previous discussion talking about how this
12 risk is now driven into the asset risk profiling process.
13 So the company deploys an asset management system through
14 the asset management mechanism that associates the risk
15 with all of our major asset classes. So the project that
16 will be pushed from this risk will come in the form of a
17 capital item. If you -- there's a figure in here that
18 talks about the asset management mechanism -- and I could
19 reference it -- but the differentiation is, is how we've

1 leveraged our asset management mechanism and included the
2 climate risks. And it's the same process -- we deal with
3 many, many risks in our company; climate's one of them --
4 by utilizing the same foundational tools, and that's why
5 you don't see all of the climate risks outlined
6 specifically in this report, because we're integrating
7 that with load risks, reliability risks, your other
8 generic environmental risks inside the asset management
9 mechanism.

10 **Q.** In doing so, and in the way you
11 presented this plan, would you agree with me that it's not
12 transparent to the Board or anyone else where you've
13 identified vulnerabilities, what those are, and what the
14 potential mitigation measures might be to deal with those?

15 **A.** (Macintosh) In the -- what you
16 describe in a comprehensive every single climate risk, no,
17 we have not done that within this plan.

18 **Q.** Well, for here, for Tufts Cove,
19 for example, you've identified -- you haven't identified

1 every risk, you've identified sea level and storm surge as
2 particular examples. I assume that's because of the
3 particular vulnerability of this particular asset. But
4 you've not gone the next step and identified what the
5 potential mitigation measures may be to address those.

6 **A.** (Macintosh) Not within this plan.
7 And the company has brought forward a capital item for
8 shoreline refurbishment at Tufts Cove that incorporates
9 some of the sea level rise risk.

10 **THE CHAIR:** Mr. Goodine, could we go
11 to page 61, please?

12 **MR. CLARKE:** Mr. Chair ---

13 **THE CHAIR:** Yes.

14 **MR. CLARKE:** I don't mean to interfere
15 with your questioning, but perhaps at an appropriate time
16 for you we could take the morning break.

17 **THE CHAIR:** Yeah, we're -- I don't
18 have too much longer, but we are a little over time so
19 it's probably an appropriate point to stop. Let me just

1 finish this last question and then we can break for 15
2 minutes.

3 MR. CLARKE: Sure. It's your call.

4 THE CHAIR: No, no. Thank you.

5 BY THE CHAIR:

6 Q. The last paragraph on page 61 is
7 what I'm looking at. So this paragraph says:

8 As shown in Figure 5.1, risk mitigation
9 options are brought forward in two main
10 streams. The first is through asset
11 reliability teams who bring forward high-
12 risk assets identified with possible
13 mitigation options. In the second stream,
14 capital engineering resources from
15 Operations will communicate an asset
16 requiring mitigation.

17
18 This seems to talk about future
19 processes; is that fair?

20 [11:10:02] A. (Macintosh) I would say it's not
21 future. This is how we're currently operating today. But
22 I get your point that maybe the wording could be modified.
23 But this is current practice.

24 Q. Okay. And again there's nowhere

1 in this plan where specific high-risk assets are
2 identified with possible mitigation options noted?

3 **A.** (Macintosh) Not within this
4 document, but inside the climate adaptation process and
5 the plan there is the Climate Adaptation Management
6 System, as I referred to, which is the detailed database
7 of our climate risks attached to those assets.

8 **Q.** Okay.

9 **THE CHAIR:** So it's probably a good
10 time here. it's 10 after 11:00. And we'll resume at 25
11 after 11:00.

12 --- Upon recessing at 11:10 a.m.

13 --- Upon resuming at 11:25 a.m.

14 **JONATHAN MacINTOSH, Resumed:**

15 **CRAIG FLEMMING, Resumed:**

16 **BLAKE WILLIAMS, Resumed:**

17 **MICHAEL WILLETT, Resumed:**

18 **DRAGAN PECURICA, Resumed:**

19 **THE CHAIR:** Mr. Goodine, could you

1 bring up the Hydro-Québec Climate Plan?

2 **QUESTIONS FROM THE CHAIR, (Cont'd)**

3 Q. Mr. MacIntosh, I assume you're
4 familiar with this. It was the example that the Board
5 referred to, or one of the examples the Board referred to
6 in its decision in Nova Scotia Power's last GRA, when it
7 directed Nova Scotia Power to prepare a climate plan?

8 A. (MacIntosh) Yes, I'm familiar.

9 **THE CHAIR:** Okay. And Mr. Goodine, if
10 we could go to page 3, please?

11 Just looking first at the index for
12 the particular plan and under "Part 2: Strategies" we see
13 that Hydro-Québec in this plan has areas of focus involved
14 in design.

15 **THE CHAIR:** And if we could scroll
16 down to the next page, Mr. Goodine?

17 **BY THE CHAIR:**

18 Q. Operations, Power Outages and
19 Impacts on Assets, Worker Health and Safety. You see

1 that?

2 A. (MacIntosh) Yes, Mr. Chair.

3 Q. And just from looking at these,
4 it appears to be broader in scope than the document that
5 Nova Scotia Power submitted to comply with the Board's
6 directive. Do you agree?

7 A. (MacIntosh) Yes, I would agree
8 that the elements for Worker Health and Safety are not
9 included in our Climate Adaptation Plan. They are in
10 other parts of our business.

11 Q. And in terms of operations, we
12 see here in the Hydro-Québec one, Nova Scotia Power's plan
13 really focuses on capital asset management. There's not
14 much in the plan that discusses operations, is there?

15 A. (MacIntosh) Yes, there is, Mr.
16 Chair. I think it may be helpful to go to Figure 5.2 ---

17 Q. Sure.

18 A. (MacIntosh) --- back on our
19 Climate Adaptation Plan. Talk about the asset management

1 mechanism.

2 So Nova Scotia Power capital
3 investment ---

4 Q. Just let us get there first.

5 A. (MacIntosh) Sure. Sure.

6 THE CHAIR: So it's Exhibit 5.

7 BY THE CHAIR:

8 Q. And 5.2 is the figure you're
9 looking for?

10 A. (MacIntosh) Yes, sir.

11 Q. There we go.

12 A. (MacIntosh) Zoom in on that,
13 please.

14 So this is a picture depicting Nova
15 Scotia Power's asset management mechanism as part of an
16 asset management system. And the top right-hand corner
17 there is the mitigating measures. So for any risk that we
18 have, physical asset risk we have in the business, capital
19 investment is the last option that we would choose. If we

1 | can mitigate that risk through such as operational
2 | restrictions or changes to our maintenance strategy, which
3 | would include operating practices, looking at different
4 | monetary design, but they would not just be capital
5 | mitigation measures included in our asset management
6 | mechanism.

7 | So for example, some of that climate
8 | data that we would have produced to help us with our hydro
9 | system, we would look at operational restrictions on
10 | hydro, not a capital investment on hydro, for example.

11 | Q. Okay. Thank you.

12 | **THE CHAIR:** So, Mr. Goodine, if we
13 | could go back to the Hydro-Québec plan? If we can go to
14 | page 27 in the PDF, please?

15 | **BY THE CHAIR:**

16 | Q. And so Mr. MacIntosh, this talks
17 | about the approach that Hydro-Québec took to preparing
18 | their plan. They did it as what they called a two-phase
19 | approach. And you'll see in the bullets there,

1 The first phase consisted of compiling a
2 list of climate change risks that could
3 affect Hydro-Québec's assets and
4 activities...

5
6 Fair to say that it's pretty clear
7 reviewing the plan that Nova Scotia Power presented, you
8 also completed a phase that was comparable to that?

9 **A.** (MacIntosh) Yes.

10 **Q.** The second phase focused on
11 establishing Hydro-Québec's action areas,
12 identifying potential adaptation measures
13 and determining what actions to take to
14 mitigate these risks...

15
16 I'm going to suggest to you that Nova
17 Scotia Power did not present that information in its plan?

18 [11:30:01] **A.** (MacIntosh) Nova Scotia Power
19 presented the methodology of how it would undertake. As I
20 mentioned, the details behind each one of those climate
21 risks and asset risks are allocated in the Climate
22 Adaptation Management System. So just to restate that, we
23 have done it. Nova Scotia Power -- the reference there to
24 the Canadian Electricity Association in 2017 on the
25 Climate Adaptation Framework and Plan, Nova Scotia Power

1 was one of the founding members that drove that eight-step
2 process with Electricity Canada now.

3 **THE CHAIR:** Mr. Goodine, if we could
4 go to page 60?

5 **BY THE CHAIR:**

6 **Q.** So in the Hydro-Québec plan, they
7 provide a series of fact sheets for each action area that
8 they identify. Do you see that?

9 **A.** (MacIntosh) Yes, I see the
10 reference.

11 **Q.** And they've broken those down
12 into four particular categories.

13 **THE CHAIR:** And if we could go on to
14 the next page, please, Mr. Goodine?

15 **BY THE CHAIR:**

16 **Q.** And here they have an example of
17 a fact sheet and what they provide in the plan. So it
18 talks about describing the impacts on Hydro-Québec
19 activity or asset, providing further information for

1 context, listing the actions to address the particular
2 issue and the potential adaptation measures, and
3 identifying any challenges to overcoming -- mitigating
4 those risks. That's sort of the outline of their fact
5 sheet?

6 **A.** (MacIntosh) Yes.

7 And if we could review one in
8 particular, if we could go to page 72?

9 This is their fact sheet for wood pole
10 optimization. And again, they talk about -- they've got a
11 description there of their wooden poles and talk about the
12 service life, the impact of rising temperatures, and the
13 migration of habitat for woodpeckers and ants, as that
14 changes and how that might impact on the poles. It gives
15 further information. They provide a bit of background.

16 **THE CHAIR:** And if we go on to the
17 next page, Mr. Goodine?

18 **BY THE CHAIR:**

19 **Q.** It's got potential adaptation

1 measures that could be undertaken relating to those
2 particular poles, challenges that will need to be
3 overcome, including work loads and pressure on crews, and
4 that sort of thing.

5 **THE CHAIR:** And then if we go on to
6 the next page, Mr. Goodine?

7 **BY THE CHAIR:**

8 **Q.** And it includes specific action
9 items, implementation status, and comments on progress to
10 meeting those particular measures.

11 Now, Nova Scotia Power's plan that's
12 presented doesn't contain anything like that for readers
13 to understand what the plan actually is, does it?

14 **A.** (MacIntosh) No, it does not.

15 **Q.** Why not?

16 **A.** (MacIntosh) The information that
17 would be included, we could produce these same fact sheets
18 from information from the Climate Adaptation Management
19 System, which is the program database, but to your point,

1 we did not include it in the overview.

2 Q. But that is something you could
3 do, based on the work that you've done?

4 A. (MacIntosh) Yes, sir.

5 Q. Okay. I'm not sure who to aim
6 this to, Mr. Williams, so I'll fire it at you and you can
7 deflect as needed. But legislation that created the
8 Energy Board allows the Board to adopt an alternative form
9 of regulation, which it defines as performance-based
10 regulations, including earning sharings, price caps, price
11 indexing, formulas, ranges of authorized rates of return,
12 and variations on regulatory requirements. And that's now
13 also embedded in the *Public Utilities Act* as well. Are
14 you familiar with that?

15 A. (Williams) Generally, yes, sir.
16 I was just attempting to bring up the Act so I have the
17 language before me myself.

18 Q. Well, we can probably do that, if
19 you want to, or...

1 A. (Williams) I don't know where
2 exactly you're going. I was ---

3 Q. My question ---

4 A. (Williams) Just as a frame of
5 reference for myself.

6 Q. Yeah, so the question is, is
7 there any reason why Nova Scotia Power's next rate
8 application shouldn't set a base for a multiyear formula-
9 driven performance-based rate?

10 (SHORT PAUSE)

11 MR. WILLIAMS: So I'll start, sir, by
12 saying I think it's a great question. I think to maybe
13 take it in two parts what I'd heard, and if I'm -- if I
14 heard it incorrectly, then please correct me.

15 But in terms of a multiyear rate
16 proposal, and then one that's based on performance-based
17 rates, and I'll talk about it into two different manners
18 like that. I think -- is that how you...

19 Q. Well ---

1 A. (Williams) Maybe I'll get you to
2 ask it again, then, sir.

3 Q. So you currently bring forward
4 applications for more than one year. So in a sense
5 they're already multiyear. I guess what I'm looking at is
6 why -- is there any reason why it couldn't be a multiyear
7 formula-driven performance-based rate?

8 A. (Williams) Yeah, and I guess when
9 you say multiyear, you're meaning longer than two years;
10 is that ---

11 Q. So Alberta and Ontario, for
12 example, they -- is they set a base rate, and then it runs
13 on the formula for four more years after that, and every
14 fifth year, as I understand it, they reset the base. Any
15 reason why we couldn't adopt that sort of a model?

16 A. (Williams) So I can speak to it.
17 I -- certainly, I'm familiar with the Alberta model, and
18 it applies to distribution utilities only. So I think
19 that's an important distinction to recognize, that it --

1 | when you're dealing with a vertically integrated utility,
2 | as compared to a distribution-only utility, the ability
3 | and the predictability of cost, the ability to forecast
4 | those costs over a longer period of time accurately and
5 | the appropriateness of doing so is a discussion to be had.
6 | I don't mean to say it could not happen or should not
7 | happen, but I think it's a worthy distinction of raising
8 | and drawing. So that's perhaps the first part of it.

9 | I think what we've heard, certainly in
10 | this proceeding, and from customers, is about -- and the
11 | discussion Mr. Deveau and I had, is about the
12 | predictability of rates and the ability to understand the
13 | things on which rate increases would occur. So I think
14 | there's a -- there's certainly a discussion to be had that
15 | would be beneficial to better understand how we could
16 | improve where we are currently in terms of that
17 | predictability and providing people with that
18 | predictability, so I think that's an important part of the
19 | discussion as well.

1 When we talk about performance-based
2 rates, and performance-based rates to a certain extent,
3 it's a difficult discussion to have, it's a nuanced
4 discussion on the stand to have because there's a number
5 of different aspects to what is performance-based rates.
6 And I think everyone's understanding of what performance-
7 based rates are is not necessarily aligned because there's
8 -- as I would view performance-based rates, you're talking
9 about a number of different tools, and you know, however
10 those tools are implemented or however many of those tools
11 implemented you get to more of a situation where you are
12 probably, truly performance-based regulation as opposed to
13 elements of performance-based regulation. Obviously, we
14 have performance standards here in Nova Scotia, so there
15 is an element of performance-based regulation already
16 here.

17 I think the effectiveness of
18 performance-based regulation, and I'm not an expert on it,
19 but from my experience in the past there is certainly fair

1 | questions to be asked about whether it is in customers'
2 | best interests because with performance-based regulation
3 | becomes less, it reduces the restrictions on earnings in
4 | some instances, depending on how you're implementing
5 | performance-based regulations.

6 | So sir, going back I suppose to where
7 | I started the description, and it's I think one that is
8 | worthy of further discussion. I think as a takeaway
9 | principle from your question, though, greater
10 | predictability for customers is a good thing, and if we
11 | can do something to help with that or increase that
12 | predictability, then that's a worthy discussion.

13 | **Q.** In terms of various flavours of
14 | PBR mechanisms that you might have, your concerns about
15 | forecasting accuracy over a long term, you'd be familiar,
16 | of course, that many of those mechanisms include offramps
17 | and things like that to account for significant unforeseen
18 | variances?

19 | **A.** (Williams) Yes, and things like

1 capital trackers and those types of mechanisms. And
2 again, that's kind of where I was going with -- you know,
3 there's a number of different tools, and it depends on how
4 many of them you implement and how you implement them that
5 really is -- drives the outcome of how effective PBR can
6 be for different jurisdictions.

7 [11:40:03] Q. And at least in theory, in terms
8 of the ability, potentially, to expand earnings for Nova
9 Scotia Power, that's generally linked to the performance
10 so that if you drive costs out of the business you may end
11 up earning more. Is that correct?

12 A. (Williams) Yes, I think that's
13 the ---

14 Q. It's the intent.

15 A. (Williams) That's the -- yeah,
16 yeah. I mean, that's not something I'm certainly
17 advocating here in terms of growing earnings, I'm just
18 following your discussion.

19 Q. Sure. And those are particularly

1 -- those are generally capped, though. You know, there's
2 not an infinite opportunity to grow earnings under those
3 mechanisms. There's -- there's bands, and there's sharing
4 mechanisms, and so on.

5 **A.** (Williams) Yes, and there's
6 usually tiers of sharing. But there are -- again, these
7 are all different tools that can be implemented
8 differently, and to a certain extent, once you get to a
9 certain level, you're triggering a rebasing, so that would
10 be the ---

11 **Q.** Right. And generally something
12 that's on a regular cycle like that would be more
13 predictable than where things currently are?

14 **A.** (Williams) I think something that
15 is on a -- whether something like that or something
16 different that provides more predictability and provides a
17 more regular cadence, regular cycle. And certainly, you
18 know, we haven't talked about, you know, formulaic
19 components of that either, specifically, but those also

1 | can provide, maybe not more predictability in terms of
2 | outcome, but more predictability in terms of process.

3 | Q. Those are my questions.

4 | THE CHAIR: I'll just go around to see
5 | if there's anything arising from Board questions.

6 | Consumer Advocate?

7 | MR. ROBERTS: Nothing.

8 | Thank you.

9 | THE CHAIR: Small Business Advocate?

10 | MS. MacADAM: No questions.

11 | Thank you.

12 | THE CHAIR: Industrial Group?

13 | MS. RUBIN: Nothing for the Industrial
14 | Group.

15 | Thanks.

16 | THE CHAIR: Municipal Electric
17 | Utilities?

18 | MR. MacDUFF: Nothing.

19 | Thank you, Mr. Chair.

1 **THE CHAIR:** Nova Scotia Department of
2 Energy?

3 **MR. BOYLE:** Nothing.

4 Thank you, Mr. Chair.

5 **THE CHAIR:** Port Hawkesbury Paper?

6 **MR. MacDOUGALL:** Yes, a few questions,
7 Mr. Chair.

8 **THE CHAIR:** Sorry; just while you're
9 setting up, I forgot to mark that Hydro-Québec document as
10 an exhibit, so I'm going to just do that now. It will be
11 Exhibit N-62.

12 **--- EXHIBIT NO. N-62:**

13 **Hydro-Québec Climate Plan**

14 **THE CHAIR:** Go ahead, Mr. MacDougall.
15 Whenever you're ready.

16 **MR. MacDOUGALL:** Thank you.

17

18

19

1 **FURTHER CROSS-EXAMINATION BY MR. MacDOUGALL**

2 Q. Good morning, panel. Just a
3 couple of clarification questions on some numbers.

4 **MR. MacDOUGALL:** If we could pull up
5 Exhibit N-27, IR-42, Mr. Goodine. And if we could just
6 scroll up a tiny bit. No, I'm sorry; when I mean "up" the
7 other way just a tiny bit.

8 **MR. GOODINE:** Down?

9 **MR. MacDOUGALL:** Down. So just get
10 the chart on one page again, Mr. Goodine, that'll be fine.

11 **MR. GOODINE:** Do you want the whole
12 chart?

13 **MR. MacDOUGALL:** Yeah, yeah. Perfect.
14 Awesome. Great, thank you.

15 **BY MR. MacDOUGALL:**

16 Q. Just on some of these numbers,
17 gentlemen, I just want to kind of get clear on a few
18 points. For the 2024 compliance, that NS Power total,
19 2,115, that would include all of your System Operator

1 employees, including the 22 who would be forecast in 2026
2 to have moved; correct?

3 **A.** (Flemming) Mr. MacDougall, I
4 can't speak to the specific employees and position numbers
5 being included in that 2024 compliance filing. I can,
6 however, note that that function generally would have been
7 included in 2024 compliance budget.

8 **Q.** The full function would have been
9 included in the 2,115?

10 **A.** (Flemming) Correct.

11 **Q.** And in the 2,62,2 my
12 understanding is that includes a forecast of 22 employees
13 removed; correct? It doesn't include the full complement
14 of the ---

15 **A.** (Flemming) That's correct. It's
16 happening in two phases yes.

17 **Q.** Yes.

18 **A.** (Flemming) And so the phase one
19 employees -- phase one that was forecast to be moved, yes,

1 | that is -- that would have been removed, yes.

2 | Q. The 22 would have been removed.

3 | And, in fact, you actually said 19 actually moved.

4 | A. Nineteen (19) is the actual
5 | number, yes.

6 | Q. That's the actual number. But
7 | the forecast number, the 2,622, includes the forecast of
8 | 22 having been removed?

9 | A. (Flemming) Nineteen (19)
10 | employees in system planning and three on the control
11 | side, I believe, yes.

12 | Q. Okay. Thank you.

13 | But those 22 employees, ratepayers
14 | will still have to pay their costs as part of the revenue
15 | requirement for the Nova Scotia Independent System
16 | Operator; correct? The employees that have been moved.
17 | They're no longer with you but they're still part of the
18 | system and presumably they will be in the revenue
19 | requirement for the Nova Scotia System Operator?

1 A. (Williams) That's correct. My
2 only hesitation was just on the -- what was in forecast
3 and what actually moved.

4 Q. Yeah.

5 A. (Williams) So only what actually
6 moved would be paid for.

7 Q. Agreed. Okay, great. Thank you.

8 And then if we can look at customer
9 operations and energy delivery, from '26 to '27 you're
10 showing 32 employees less. Is that mainly the other
11 tranche of IESO employees being moved?

12 A. (Flemming) That would certainly
13 be the largest contributor to the reduction.

14 Q. And those employees also once
15 moved are still part of the overall system and would be
16 part of the IESO Nova Scotia's revenue requirement;
17 correct?

18 A. (Williams) That's correct.

19 Q. Thank you.

1 And with respect to just one other
2 area, items like the Climate Change Adaptation Plan, in
3 the Settlement Agreement where the parties agreed to the
4 outcomes of the settlement, that didn't include agreement,
5 for example, with the Climate Change Adaptation Plan, per
6 se?

7 **A.** (Williams) I would agree with
8 that, Mr. MacDougall. The wording was intended to
9 specific to the outcomes with the Climate Adaptation Plan
10 not being an outcome but being filed to fill a Board
11 directive, a Board requirement.

12 **Q.** Great. Thank you very much, Mr.
13 Williams.

14 **A.** Thank you.

15 **MR. MacDOUGALL:** Those are all my
16 questions, Mr. Chair.

17 **THE CHAIR:** Thank you, Mr. MacDougall.
18 Did I miss anyone before going to

1 Board counsel?

2 Mr. Mahody, anything?

3 **MR. MAHODY:** Nothing arising, Mr.

4 Chair.

5 Thank you.

6 **THE CHAIR:** Okay. We have a conflict

7 -- sorry? We're not done. Don't get ahead, Mr. Clarke.

8 **MR. CLARKE:** Thank you as always, Mr.

9 Chair.

10 **THE CHAIR:** We need to do a
11 confidential session, although I don't think it's going to
12 last a long time, is my understanding. I think it's just
13 Mr. Murphy -- Board Member Murphy that has questions.

14 Are there any intervenors that have
15 confidential questions?

16 Oh, and Board Member Deveau does as
17 well.

18 So we'll break to set that up.

19 Just a reminder for anyone who's

1 participating remotely, the public feed will be shut down
2 while we -- for the duration of the confidential session.
3 Those who are viewing remotely and are authorized to have
4 access to the confidential information will need to relog
5 on to the new session using the confidential link for that
6 that has been provided.

7 In terms of timing, my proposal is
8 this; my estimate is we'll shut the public session down
9 and go into the confidential session, complete that. That
10 will likely take us to around about 12:30. I'm proposing,
11 just to give the folks who are tuning in publicly, some
12 certainty that we take our lunchbreak at that point in
13 time and set a time of 1:30 to come back and reconvene the
14 public session.

15 **MR. CLARKE:** That's fine. I'm just --
16 in terms of the mechanics, Mr. Chair, 12:30 would you
17 foresee that this panel would be released?

18 **THE CHAIR:** It would be, yes.

19 Okay. Mr. Mahody?

1 **MR. MAHODY:** Mr. Chair, just one
2 point. In advance of this panel being released, in the
3 event that occurs at the end of the confidential session,
4 Nova Scotia Power has provided Board counsel with
5 Undertaking U-12, the model, in Excel form, which I thank
6 them for. I would ask, as I think has been offered, that
7 NSP put that on the public record as well, the Excel
8 version of the model that's the response to U-12.

9 **MS. POWER:** We have no issues with
10 that. But the Excel version was filed, it just didn't
11 have the formulas visible. So we do have a revised copy.
12 We will make that change.

13 **THE CHAIR:** But the public -- there'll
14 be a PDF version of that or something in the public
15 version as well?

16 **MS. POWER:** We can PDF it. It would
17 hard coded cells of course.

18 **THE CHAIR:** Yes.

19 **MS. POWER:** They wouldn't see the

1 formulas. But, yes, we can do that, Mr. Chair.

2 THE CHAIR: Okay. Thank you.

3 MR. MAHODY: Thank you, Mr. Chair.

4 THE CHAIR: Okay. So we'll disconnect
5 from the public session now, clear the room of anyone
6 who's not authorized to access the confidential
7 information, and reconvene in the confidential session in
8 a few minutes. Thanks.

9
10 --- Upon recessing in public at 11:51 a.m. to resume *in*
11 *camera*

12

13

14

15

16

17

18

19

CERTIFICATE OF COURT TRANSCRIBER

I, Patricia Cantle, hereby certify
that I have transcribed the foregoing, and it is a true
and accurate transcript of the evidence given in this
matter, M12451.



Patricia Cantle
Registration No. 2017-001
ICDR, ICDT
Certificate No. IAPRT-2142

Halifax, Nova Scotia
Monday, January 12, 2026