

NOVA SCOTIA ENERGY BOARD

IN THE MATTER OF: ***THE PUBLIC UTILITIES ACT***

- and -

IN THE MATTER OF: **AN INQUIRY** about the impact of the cyber
incident on **NOVA SCOTIA POWER INCORPORATED's**
collection and retention of customer
information, customer service and
communications, billing processes and
regulatory matters

TRANSCRIPT

HEARD BEFORE: Mr. Stephen T. McGrath, K.C. Chair
 Mr. Roland A. Deveau, K.C., Vice Chair
 Mr. Richard J. Melanson, LL.B., Member

PLACE HEARD: Offices of the Nova Scotia Energy Board
 1601 Lower Water Street, 3rd Floor
 Halifax, Nova Scotia

DATE HEARD: Wednesday, August 19, 2026

APPEARANCES:

APPLICANT: **Nova Scotia Power Inc. (NSP)**
 Mr. Colin J. Clarke, K.C.
 Ms. Jennifer Power, Counsel
 Mr. Geoffrey Breen, Counsel

INTERVENORS:

Consumer Advocate

Mr. David J. Roberts, Counsel

Mr. Michael Murphy, Counsel

Small Business Advocate

Ms. Melissa P. MacAdam, Counsel

Ms. Rebekah L. Powell, Counsel

Formal Intervenor, Mr. David MacLeod

Ms. Elisa Akcakiryan, Counsel

Mr. David MacLeod

Industrial Group

Ms. Brianne Rudderham, Counsel

Mr. Isaac Cain, Counsel

Nova Scotia Department of Energy

Mr. Thomas Kayter, Counsel

BOARD COUNSEL: Mr. William L. Mahody, K.C.

BOARD STAFF: Mr. Somesh Singh
Mr. Robert Norwood, Public Proceeding Assistant
Ms. Svitlana Lykhina, Public Proceeding
Assistant
Mr. Jordan Long, Information Systems Technician

RECORDED and

TRANSCRIBED BY: INTERNATIONAL REPORTING INC.

Ottawa, Ontario

I N D E X O F P R O C E E D I N G S

PAGE NO.

August 18, 2026

Hearing opens	1
Preliminary matters	1
Opening Statement by Consumer Advocate	8
Opening Statement by Small Business Advocate	12
Opening Statement by Mr. David MacLeod	14

NOVA SCOTIA POWER PANEL, Solemnly Affirmed:

Examination on Qualifications by Mr. Clarke	18
Opening Statement by Nova Scotia Power	26
Cross-Examination by Mr. Roberts	34
Cross-Examination by Ms. MacAdam	151
Cross-Examination by Ms. Akcakiryan	192
Cross-Examination by Mr. D. MacLeod	196
Cross-Examination by Ms. Rudderham	202
Cross-Examination by Mr. Mahody	326
Hearing adjourns	357

August 19, 2026

Hearing resumes	359
-----------------	-----

NOVA SCOTIA POWER PANEL, Solemnly Affirmed:

Cross-Examination by Mr. Mahody, (Cont'd)	360
Questions from Mr. Melanson	371
Questions from Vice Chair Deveau	418
Questions from The Chair	516

I N D E X O F P R O C E E D I N G S

PAGE NO.

August 19, 2026

JENA VALDETERO, Solemnly Affirmed:

Examination on Qualifications by Mr. Clarke	621
Cross-Examination by Ms. Akcakiryan	626
Cross-Examination by Mr. Mahody	634
Questions from Member Melanson	650
Questions from The Chair	663
Hearing adjourns	672

LIST OF EXHIBITS

EXHIBIT NO.	DESCRIPTION	PAGE NO.
	<u>August 18, 2026</u>	
N-22	Equifax data breach settlement	150
	<u>August 19, 2026</u>	
N-23	Exhibit N-2, Attachment 3 from Matter M12835 - 2025 financial statements - management discussion and analysis	618

LIST OF UNDERTAKINGS

NO. **PAGE NO.**

August 18, 2026

U-1	To provide information that demonstrates what the Equifax tool does	43
U-2	To provide the volume of data held in the information technology systems by Nova Scotia Power at the time of the cyberattack	54
U-3	To enquire how many Social Insurance Numbers may have been resident in the Data Lake at the time of the cyberattack, and provide that number if available, and how many were expunged in 2024	85
U-4	To provide the verification process for confirming the identity of small business customers and the representative who is speaking on behalf of the small business when they contact NSP	157
U-5	To provide an updated phishing failure rate for the period of April 2025 to date	178
U-6	To confirm that CA IR-1(e) will be addressed in Proceeding M12273	181
U-7	To provide the actuals from 2025 for the costs associated with the cybersecurity incident, including cost categories, as well as an updated forecast for 2026	217
U-8	To provide a more granular breakdown of the table in Attachment 1, CA IR-6	257

LIST OF UNDERTAKINGS

NO. **PAGE NO.**

August 18, 2026

- | | | |
|-------------|---|----------|
| U-9 | To confirm if carrying costs on accounts received are tracked separately, and if they are, what that amount is for 2025-2026 until it is forecasted to get back to normal | 323 |
| U-10 | To search for, and produce if found, directions in 2018 to customer service representatives regarding the deletion of Social Insurance Numbers | 334 |
| U-11 | To provide the 2024 SIN elimination program; to advise how many SIN numbers were purged from NS Power's system | 336, 338 |

August 19, 2026

- | | | |
|-------------|---|-----|
| U-12 | To provide the script given to Nova Scotia Power staff to answer questions about the cyber incident | 430 |
| U-13 | To provide the volume of data in the July 2021 cut in the Azure staging area | 445 |
| U-14 | Re: Exhibit N-17(i), Attachment 2, Retention Disposition Schedule, to advise what the difference is between "Internal Audit Document" and "Internal Audit Document Set" | 468 |
| U-15 | To provide the size or volume of data contained in the NAS device at the time of the cyberattack | 540 |

LIST OF UNDERTAKINGS

NO.	<u>August 19, 2026</u>	PAGE NO.
U-16	To advise whether Nova Scotia Power pays any fees on a monthly basis based on the amount of data in the Data Lake	545
U-17	To provide the billing inserts, with the dates they were provided to customers	597

Halifax, Nova Scotia

--- Upon resuming on Wednesday, August 19, 2026 at 9:01
a.m.

THE CHAIR: Good morning, everyone.
Any preliminary matters before we start back up again?

Mr. Mahody.

MR. MAHODY: Thank you, Mr. Chair.
Good morning.

1 GLEN MacLEOD, Previously Affirmed:

2 CHRIS LANTEIGNE, Previously Affirmed:

3 LIA MacDONALD, Previously Affirmed:

4 BLAKE WILLIAMS, Previously Affirmed:

5 CROSS-EXAMINATION BY MR. MAHODY, (Cont'd)

6 Q. Good morning, witness panel.

7 I have just a couple of areas to
8 address, and the first is in the rebuttal evidence, N-17,
9 at page 18 of 65.

10 This is the section of the rebuttal
11 entitled, "Additional Relevant Records, Section 3".

12 So if I could just move to the middle
13 of the page, the December 2024 privacy audit of Data Lake,
14 I just want to confirm -- and Nova Scotia Power's been
15 clear as to why it's putting this information in here, but
16 you agree that the technical aspects associated with the
17 Data Lake, its audit, how it operated, how it was accessed
18 will all be matters for the compendium cyber matter.

19 A. (Williams) Absolutely, sir. Yes.

1 Q. Thank you. All right.

2 So just moving up to the top of the
3 page, then, about the retention schedule and Personal
4 Information Inventory, I just wanted to confirm that the
5 Personal Information Inventory that's attached to your
6 rebuttal affidavit as confidential Attachment 3, that's
7 the first time in this proceeding that that Personal
8 Information Inventory had been put on the record. Is that
9 correct?

10 A. (Williams) Yes, that's correct.

11 Q. Okay. And the purpose of the
12 Personal Information Inventory is for Nova Scotia Power to
13 identify what personal information it holds and where it
14 is stored. Is that correct?

15 A. (Williams) Yes. At a high level,
16 sir, yes.

17 Q. And obviously, the attachment
18 itself is confidential, but there are references in the --
19 each of -- in that confidential attachment to the last

1 | update for the documents that are provided for. I won't
2 | get into the dates that are there.

3 | But I take it that this is the
4 | Personal Information Inventory as at April of 2025. Is
5 | that correct?

6 | Time of the attack, I think is what
7 | the evidence is.

8 | **A.** (Williams) Yeah, that's accurate.

9 | **Q.** Mr. Williams, just on that point
10 | about the time of the attack, some reference in the
11 | rebuttal evidence as well to potentially some customer
12 | confusion about when Nova Scotia Power became aware of the
13 | intrusion.

14 | You do agree with me, though, that
15 | customer reaction would be impact -- would reasonably be
16 | impacted by the time as when Nova Scotia Power indicates
17 | it was first exposed. So the March 19th date becomes a
18 | relevant concern to customers given the personal
19 | information that was exposed.

1 A. (Williams) So just a couple parts
2 to that question, I think.

3 So it's not a relevant date in terms
4 of information being exposed. It's a relevant date in
5 terms of the attack and when the threat actor gained
6 access to the system. But -- and this will be explored
7 further in the other proceeding you're referring to, but
8 they did not access the data we've been discussing in this
9 process on March 19th. That did not occur until April 25th.

10 But to your point, I think, sir, the
11 existence of two different dates, one being demonstrated
12 by the discussion you and I just had, there's some nuances
13 to the March 19th and the April 25th and what happened on
14 those two dates, so I certainly understand why the fact
15 that there is those two dates would create some confusion
16 for people.

17 Q. Do I take it from that response,
18 then, that the first time that the threat actor gained
19 access to personal information was on April 25th?

1 A. (Williams) So that is something
2 that I think needs to be more precisely confirmed as part
3 of the next, but it was not March 19th. It would have been
4 April 25th or thereabouts, yes.

5 Q. But again, all of the technical
6 issues associated with that 37-day dwell time period that
7 the third-party intruder had at Nova Scotia Power's system
8 will all be matters for the other cyber matter.

9 A. (Williams) I would agree, yes.

10 Q. Mr. Lanteigne, I had a question
11 about utilizing photo meter reads. And based on the pre-
12 filed evidence, and I think your testimony as well, I
13 understand that photo meter reads became an acceptable
14 method in about November of 2025.

15 A. (Lanteigne) Yeah. And to just
16 clarify that -- and I hope I said it yesterday, and if I
17 didn't, I apologize -- but the -- we would accept photo
18 reads through our customer care team in the months leading
19 up to November as well. So we would use them to resolve

1 | situations in talking to customers where the meter read
2 | would obviously help resolve that situation.

3 | It was in November that we actually
4 | added the online form to the website for customers to be
5 | able to submit the photo reads.

6 | And just after conferring with my
7 | colleagues, they've reminded me that, you know, accepting
8 | a photo read is an established part of our regulations as
9 | a way to update a customer's bill charge.

10 | Q. Sure. But in November 2025, you
11 | revised your mechanisms to make it more straightforward,
12 | more streamlined for photo reads to be submitted in the
13 | place of a meter read. Is that correct?

14 | A. (Lanteigne) Yeah. Essentially,
15 | we scaled up that activity with the online form to allow
16 | customers to take advantage of that option.

17 | Q. Now, some may look at a -- the
18 | period between May 2025 and November 2025 as being a
19 | lengthy time to get that initiative up and going. What do

1 | you say to that?

2 | A. (Lanteigne) I think from my
3 | perspective, again, it's important to note that, you know,
4 | we were able to process them in the time between June, I
5 | guess, when billing resumed and November. And our team
6 | would do that if a customer called in. It wasn't to the
7 | volumes that we had after November.

8 | I think, again, what I'd mentioned
9 | yesterday was that our focus was on two things. That was,
10 | you know, obviously estimating bills, which we've talked
11 | about extensively in this hearing, and also securing meter
12 | readers to actually read meters for customers. Again,
13 | based on the length of time that we had had to estimate
14 | bills, it was in November that we made that determination
15 | to add the option to our website for our customers.

16 | I think as well, to accept those at
17 | that scale and volume back in June and July, you know our
18 | teams would not have had the ability to process that
19 | volume that was actually coming in as well. We needed to

1 | get to the point in November where it was possible.

2 | And finally, I think one of the pieces
3 | I touched on yesterday that's important to reiterate is,
4 | you know, in the month of December, for example, we did --
5 | we made about 500 adjustments to accounts based on photo
6 | reads. We did estimate about 157,000 bills in the month
7 | of December. So while we wanted to make sure that option
8 | was there for customers, and we felt that the timing was
9 | right to put that functionality online, there was not a
10 | significant uptake, but we were glad to provide that
11 | option for any customer who wanted to take advantage of
12 | it.

13 | [9:10:29] **A.** (Williams) Again, Mr. Mahody, I
14 | would just add to that. I think what that demonstrates
15 | for us, I think, is that we appropriately prioritized the
16 | mechanisms we had available to us. Had we proceeded with
17 | prioritizing photo meter reads, rather than getting meter
18 | readers out into the field, I think we would have had a
19 | very different and less favourable result than we actually

1 | did in terms of what we were able to read on actual
2 | meters.

3 | Q. In your testimony yesterday,
4 | Mr. Lanteigne, you mentioned customers responding to the
5 | photo read option by the fall of 2025 with responses like,
6 | "That's your responsibility, Nova Scotia Power, not mine,
7 | to read the meter. You can get someone out here to do
8 | it." Do you recall words to that effect?

9 | A. (Lanteigne) That is correct, yes.

10 | Q. Yeah. Is it the case, though,
11 | that having deferred the real utilisation of photo reading
12 | until November, you deferred it into a period where
13 | customer relations were strained by that point?

14 | A. (Lanteigne) I don't take that
15 | premise, no.

16 | Q. Such that you would view the
17 | reception of photo read to have been the same, whether it
18 | had been -- whether what was initiated in November had
19 | been initiated in June, your understanding is that it

1 | would be a similar response take-up rate.

2 | A. (Lanteigne) I can't speculate on
3 | that. You know, again, to what Mr. Williams said, I think
4 | our -- you know, I think our approach to supporting our
5 | customers throughout this incident has evolved, and it's
6 | been based on feedback from customers and stakeholders.
7 | You know, again, I think our approach to focus on meter
8 | reads, and also on estimated billing, where we weren't
9 | able to obtain a meter reader, like that was the approach
10 | that we took, and I think that resulted the best possible
11 | results we could have had throughout this incident.

12 | And I think the other issue that
13 | emerged with photo reads as well, I discussed the -- like,
14 | the volumes that were coming in against the estimated
15 | bills. We actually found that about a third of the
16 | submissions that were received for photo reads were
17 | actually on accounts that did have true reads. So adding
18 | that third layer in again, we were doing it right from the
19 | start reactively if a customer needed that support. We

1 scaled it up based on the evolving feedback that we were
2 getting from our customers. And again, the uptake was not
3 high, but we were happy that that option was there when we
4 did put it out in mid-November.

5 Q. Thank you.

6 MR. MAHODY: Thank you, Mr. Chair.
7 Those are my questions.

8 MR. CLARKE: Thank you.

9 Mr. Melanson.

10 MEMBER MELANSON: My microphone is a
11 little far away from my computer, so I'm just wanting to
12 make sure that my sound level is okay, Mr. Norwood.

13 MR. NORWOOD: Yes.

14 MEMBER MELANSON: Okay.

15

16

17

18

1 QUESTIONS FROM MEMBER MELANSON

2 Q. Let's start. My first question,
3 I'm going to turn to Exhibit N-17.

4 MEMBER MELANSON: And it's PDF
5 page 10, Mr. Norwood, and at lines 25 to 27.

6 BY MEMBER MELANSON:

7 Q. And it says, and this is
8 elsewhere in the evidence, but this is the rebuttal
9 evidence where it says, "At the time of the Attack..."
10 Sorry. It says:

11 At the time of the [cyber incident of] NS
12 Power...cybersecurity standards and policies
13 that [were] informed, in part, by
14 the...(NIST) Cybersecurity Framework...

15 So informed in part. And I just --
16
17 now, without getting into the NIST framework and what
18 entails, at a high level of governance issue proportion,
19 do you know why the entire NIST framework was not
20 incorporated at the time?

21 A. (Williams) I, unfortunately,
22 don't have an informed response for you, sir. I think

1 | it's certainly a reasonable question to ask, but it would
2 | be better asked to the panel that would appear as part of
3 | the, I guess, Mr. -- the compendium proceedings,
4 | Mr. Mahody referred to it as.

5 | Q. Okay. The reason I ask it is,
6 | there's a response in Exhibit N-11 to the SBA IR-13.

7 | **MEMBER MELANSON:** It's PDF page 25,
8 | Mr. Norwood in Exhibit N-11.

9 | **MR. NORWOOD:** What page is it?

10 | **MEMBER MELANSON:** Sorry. PDF page 25.

11 | **BY MEMBER MELANSON:**

12 | Q. And here, it's referring to a
13 | portion of the incident report, but it talks about, "In
14 | connection with these efforts..." -- this is the question:

15 | ...NS Power has recently completed an
16 | extensive two-year update to its
17 | cybersecurity practices to comply with
18 | current policies and anticipated changes in
19 | [the] standards communicated by NIST.

20 | And the question is, "When was the
21 | two-year update completed?" And the answer is, it was

1 concluded:

2 ...concluded its two-year update
3 of...cybersecurity practices spanning 2023-
4 2024, with [a] formal closeout on February 3,
5 2025.

6
7 My question is, it seems like in this
8 answer the NIST framework was being used at the time of
9 the entire NIST framework, and anticipated changes was
10 being used at the time of the cyber incident. I'm just
11 wondering if there's an explanation. It was or it wasn't,
12 I think is the question.

13 **A.** (Williams) So again,
14 Mr. Melanson, and I apologize, but I know this is on the
15 record in this proceeding, and we've answered it
16 attempting to be responsive and transparent, but this
17 panel's not going to be able to speak in detail. I would
18 say that it would certainly be my understanding that NIST,
19 as your basis and your guidelines, that there would be
20 other guidance materials and other external factors that
21 would inform the cybersecurity posture of Nova Scotia
22 Power.

1 Q. Okay. I mean, certainly I
2 realize there's going to be an expert report for the other
3 proceeding, but it was on the record and ---

4 A. (Williams) Absolutely.

5 Q. --- it's slightly inconsistent in
6 the two provisions.

7 Okay. I'm going to go into another
8 issue that may have the same result. But there is, in the
9 incident report, that's N-16, and I'll go to the
10 reference, and again it may be for the other proceeding,
11 but I don't know if you can speak at it at a high level.
12 It's N-16, PDF page 40. Has to do with NERC standards.

13 And it talks about, at line 6 and 7:

14 Regarding security audits, NERC conducts
15 extensive periodic audits (including
16 security) of the Company's Energy Operations
17 to ensure effective compliance.

18
19 And my simple question was, the NERC
20 standards, as I understand it, would not necessarily
21 result in audits of the IT systems surrounding the

1 | operating system. Am I correct about that?

2 | A. (MacDonald) Yes, it's more
3 | focussed on the OT grid management systems.

4 | Q. So that NERC audits would not
5 | necessarily be looking at IT systems when they're doing
6 | their audits through the Northeast Power Coordinating
7 | Council?

8 | A. (MacLeod) There's a little
9 | overlap into the IT realm, things like network controls
10 | and firewalls, which could be servicing IT or OT purposes.
11 | But as Ms. MacDonald said, the intent is to cover the OT
12 | grid management technologies with those NERC audits.

13 | Q. Okay. Going to turn to bill
14 | estimation. And just for basic understanding, with the
15 | AMI system, bill estimation is done through that system;
16 | correct? You don't have to rely on the CIS system?

17 | A. (Lanteigne) That is correct.

18 | Q. And just for my own knowledge, in
19 | what circumstances would there be estimated bills under

1 | the AMI system? I would have thought there probably
2 | wouldn't be unless the system is down.

3 | [9:19:56] **A.** (MacLeod) There can be times, for
4 | instance, if there's a power outage, that could be local
5 | power outage due to a vehicle accident or a larger storm-
6 | related power outage, some of the AMI equipment may be
7 | down for a short period of time. And if that customer's
8 | bill cycle were to occur at that time, there could be some
9 | missing reads.

10 | **Q.** Okay.

11 | **A.** (MacLeod) So the AMI system will
12 | do its best to estimate what might be missing to pass that
13 | along to billing.

14 | **Q.** Okay.

15 | **A.** (Lanteigne) Sorry, could I just
16 | add to that, Mr. Melanson? I think the key piece about --
17 | what Mr. MacLeod said, he's absolutely right; Nova Scotia
18 | Power maintains a billing cycle for a customer. So if one
19 | of those incidents that he described occurs on a date

1 | where bills are supposed to be issued for a customer, that
2 | would result in it being an estimate because the approach
3 | is to not delay the issuance of bills if we can avoid it
4 | and to help provide a predictable schedule for our
5 | customers. I just wanted to add that; sorry to interrupt.

6 | Q. No, no, it's fine. And that in
7 | many ways explains from a performance standards' point of
8 | view, that there wouldn't be a whole lot of these
9 | instances that would occur; correct?

10 | A. (Lanteigne) In normal operations,
11 | Blue Sky operations per se, they're infrequent and the
12 | performance standard is what we keep our eye on for sure
13 | around managing.

14 | Q. Yeah.

15 | THE CHAIR: Just in terms of the
16 | estimation that may occur in those situations, am I
17 | correct that because the AMI system is feeding data back
18 | to the central systems more or less constantly, that the
19 | period of estimation would be fairly short if there was a

1 momentary outage at the time of the billing cycle?

2 MR. MacLEOD: For most cases, yes. If
3 -- in a typical customer a bill cycle might be a 60-day
4 bill cycle, we may have 52 days of daily reads and then
5 the estimation would be for that final eight days. So
6 depending on -- there are some circumstances where it
7 could be longer but generally that's how it works.

8 THE CHAIR: In what circumstances
9 would it be longer?

10 MR. MacLEOD: If there was something
11 happening at the customer premise that needed a major
12 repair, or a home business, but for the most part it's
13 fairly small windows that need to be estimated.

14 THE CHAIR: Thank you.
15 Sorry.

16 BY MEMBER MELANSON:

17 Q. So the use of the CIS system
18 really is a situation where you have, as we have here, a
19 prolonged and major impact on the ability to obtain AMI

1 data; would that be fair?

2 A. (Lanteigne) That is correct. So
3 the CIS estimation routine would be used in two
4 circumstances; the one would be a contingency if the AMI
5 estimation is not available, again, in absence of an
6 actual true reading for the customer's account. And the
7 second instance would be if a customer has opted out of an
8 AMI meter and that bill needs to be estimated, the CIS
9 estimation routine would be used in that circumstance.

10 Q. I can't remember, I should know
11 this, but how many -- what the percentage of opt-outs is
12 for customers?

13 A. (Lanteigne) I think it's about
14 3.5 percent of our customers, yeah.

15 Q. So if something happens with
16 respect to your not being able to obtain true reads from
17 that 3.5 percent of customers, the CSI system has to be
18 used in that circumstance?

19 A. (Lanteigne) That is correct.

1 Q. Okay. But before AMI the CIS
2 system was used for all bill estimations; correct?

3 A. (Lanteigne) That is correct.

4 Q. So there would have been a long
5 history of using CIS for bill estimation before the
6 cybersecurity incident happened?

7 A. (Lanteigne) That is correct.

8 Q. I might as well just bring it up;
9 I think it's been discussed at length as to what the
10 actual process is, but let's take Exhibit 10, IR-1(c).

11 **MEMBER MELANSON:** I don't have the
12 PDF. IR-1(c), the response to IR-1(c). You may have
13 already gone by it. There. Keep going, keep going. Keep
14 going, after all these bills. There.

15 **BY MEMBER MELANSON:**

16 Q. How I understand it, the estimate
17 is a reading doing the average usage search per day at a
18 specific property on bills in the last 12 months that
19 considers it the same season. So in other words, you're

1 | looking at a 12-month period for the same property but
2 | based on season; is that correct?

3 | A. (Williams) That is correct. And
4 | I think one of the pieces that I talked about yesterday is
5 | the seasons, they do not follow the same, you know, four
6 | seasons that we experience in Nova Scotia. CIS would
7 | consider two periods of time, so the warm season and the
8 | cold season.

9 | Q. Right. And it's based on bills
10 | that are issued in those two seasons, past bills that are
11 | issued in those two seasons; correct?

12 | A. (Williams) That is correct, yes.

13 | Q. And there is no ability to track
14 | a daily amount; it's actually an average amount that's
15 | used for the billing period?

16 | A. (Williams) That is right; your
17 | understanding is correct.

18 | Q. Yeah. So that, for example, in
19 | the November bill, for the first bills in the cycle in

1 | early November, it would incorporate data from September,
2 | for example?

3 | **A.** (Williams) Yeah, that's correct.
4 | I think in November the specific feedback that we had from
5 | our customers is that as seasons transition, because
6 | November would have been the first month of the colder
7 | season ---

8 | **Q.** Right.

9 | **A.** (Williams) --- and what we had
10 | talked about yesterday was that in the first few weeks of
11 | that month, that is where we recognize that some of the
12 | estimates -- again, what the CIS system was doing was
13 | providing the average daily cold usage for the customer,
14 | but it -- you know, coming in at the start of November it
15 | would have been -- you know, for some customers, it would
16 | have been a higher estimate than they would have been
17 | expecting.

18 | **Q.** But isn't the reason for that
19 | because you have -- in that cold period, you have, let's

1 say, information from September, for the first billing
2 cycle in September, October, November -- or sorry;
3 October, November basically?

4 **A.** (Williams) That is correct. So
5 the period of time that was being billed against the
6 colder weather usage did cause some of those estimates in
7 the first few weeks (inaudible due to mumbling). You're
8 right, yeah.

9 **Q.** And just actually to make sure I
10 understand this, is it actually that or are you -- when
11 you do the per -- the average daily usage, are you using
12 the entire six-month period from -- for that billing, for
13 that cold weather season? In other words, are you taking
14 -- when you're billing in November, are you also taking
15 data from December, January, February, March?

16 **A.** (Williams) Yeah, essentially the
17 Customer Information System's estimation routine would use
18 the date of the bill to determine the season for the
19 period of time.

1 Q. But they would use the average
2 daily use for the entire season?

3 A. (Williams) That's correct, yes.

4 Q. So that they're incorporating the
5 temp in March, January, February data into the November
6 bill?

7 A. (Williams) That's correct. And
8 what we talked about yesterday, like, when the season can
9 change, whenever the season does change I guess -- again,
10 not traditional seasons but warm to cold or cold to warm,
11 that's where the average daily usage, you know, can cause
12 an estimate that is off.

13 Q. Yeah. So you essentially have
14 data, combined data, agra-data for three billing cycles
15 for most residential customers that we can take an average
16 for that entire period; correct?

17 A. (Williams) Yeah. Essentially
18 with it being split into two periods of time that are
19 assessed, the average customer would get six bills a year,

1 | yes.

2 | Q. And it's not based -- because if
3 | a customer -- if a new customer enters into the premises
4 | during that estimation period, there's no way of adjusting
5 | the average to account for a different -- for usage and
6 | that type of thing for a new customer, for example?

7 | A. (Williams) That is correct. So
8 | the premise history would be used for the estimation, and
9 | I think the example I provided yesterday, if a home had a
10 | single person living in it and a family of five moved in,
11 | obviously that usage profile could change from that, or
12 | any other changes that the customer may have made in their
13 | home; if they heat with electricity now, whereas they
14 | heated with oil in the previous period, those types of
15 | determinates would not be something that we could include
16 | in the estimation.

17 | Q. And there's no way -- am I right
18 | that there's not a mechanism whereby employees can
19 | actually get into the system and change the output? The

1 | output is the output from the system.

2 | **A.** (Lanteigne) I think -- and just
3 | building on what -- the discussion that I was having with
4 | Mr. Mahody earlier as well to, you know, recognizing at
5 | the beginning of November some of the changes that
6 | occurred, that was one of the -- one of the reasons that I
7 | mentioned evolving kind of customer and stakeholder
8 | feedback that we were receiving while we wanted to kind of
9 | increase the promotion of the photo meter read option, so
10 | providing that option for customers to allow our customer
11 | service associates to actually get the meter read to make
12 | the changes that you are talking about to actually be able
13 | -- but other than that, you are correct. We're not able
14 | to apply, like, a change to that estimation routine across
15 | the entire Customer Information System.

16 | [9:30:14] **Q.** So when a suggestion was made
17 | that somehow the bills were being manipulated to be
18 | higher, in fact, the system produced the bills that you
19 | were generating. Is that correct?

1 A. (Lanteigne) That is correct.
2 There was no manipulation of bills at all.

3 Q. And basically, the CIS subroutine
4 that's used as a backup in this situation, that was never
5 intended to be used over a lengthy period of time. Is
6 that correct?

7 A. (Lanteigne) You are correct.
8 I think the -- you know, again, as Mr.
9 MacLeod described, and we were talking about earlier as
10 well, we do know that we've evolved the estimation for AMI
11 meters, and that's what our primary approach was. And
12 even for opt-out customers or pre-AMI, the intent of Nova
13 Scotia Power is to get out and read customers' meters
14 every bill. So the period of estimation, as I talked
15 about it yesterday, I think is what compounded the problem
16 and the concerns for customers.

17 It wasn't just the one estimation. It
18 was that they might have had multiple ones in a row and
19 then specifically when those true reads occurred, you

1 know, if -- especially if a customer had been under-
2 estimated, as I talked about yesterday, or they had
3 underpaid or seasonal usage drove the impact, that that
4 definitely caused concerns for our customers that we've
5 been supporting them through.

6 Q. And when you talk about the
7 multiple estimated bills, in fact, in that scenario would
8 not the CIS system produce results -- the second estimated
9 bill or a third estimated bill might be replaced on a
10 previous estimated bill?

11 A. (Lanteigne) You are correct.
12 Like, multiple estimates in a row would -- could
13 potentially drive that scenario. I think for -- from our
14 perspective, the timing of the restoration of the AMI and
15 then getting back to the point where we were getting true
16 reads, it meant that CIS was still able to look at actual
17 data from the year before, so true reads from the year
18 before, to make the determinants.

19 But you are correct; like, if that

1 estimation had to continue beyond the period that it did,
2 you would have had timeframes or estimates for comparing
3 estimates.

4 Q. Given -- I know there's
5 discussion in the evidence about the new Customer
6 Information System that's being planned and may come to
7 the Board -- well, at some point if it's planned to come
8 to the Board. But that -- I guess do you have any sense
9 of when that application is going to be ready?

10 A. (Lanteigne) Our hope is that it
11 would -- the application would come to the Board by the
12 end of this year.

13 Q. And if that were to happen and if
14 the application were approved, how long would it take --
15 do you have a sense of how long it would take to implement
16 that system so it would be up and running?

17 A. (Lanteigne) Our belief at this
18 time is that it would be approximately 2029 to implement,
19 based on the timelines that we've considered.

1 Q. So between now and 2029, the
2 current CIS system would be the backup and also used for
3 the customers that opted out; correct?

4 A. (Lanteigne) Yeah. So currently,
5 the AMI estimation routine would be the system for AMI
6 customers. For the customers who opted out, if we needed
7 to estimate bills, you know, the CIS system would be used.

8 I think it's important to note that,
9 you know, since April we've had our -- you know, we've
10 been reading customer bills again, we've been meeting the
11 performance standard every month since April. And our --
12 you know, our approach is to continue to do that to try to
13 minimize estimates because, as we've talked about and
14 you've highlighted, I think it's the amount of estimates,
15 multiple estimates in a row that really caused concerns
16 for customers.

17 Q. And in reading the evidence, it
18 appeared to me that there might not be very much done to
19 the existing system to assist in making it more accurate.

1 Am I reading that correctly?

2 Leaving aside the change in the start
3 of the ---

4 A. (Lanteigne) Yeah.

5 Q. --- cold season, but ---

6 A. (Lanteigne) --- Yeah.

7 Q. --- within the program itself.

8 A. (Lanteigne) Yeah. That is --
9 your understanding is correct. Making modifications to
10 the Customer Information System is -- in this case, we do
11 not believe it's possible.

12 Q. Not even -- for example, one of
13 the things I was thinking of is with having a longer
14 period like two cold weather seasons and two hot weather
15 seasons as the basis for the estimate, is that at all
16 possible, number one? And number two, would it change the
17 outcome?

18 A. (Lanteigne) I appreciate your
19 patience. I just wanted to double-check my understanding.

1 But no, the complexity of the
2 estimation, it would not be possible in the system to
3 change it.

4 **Q.** And looking at the cost that's
5 estimated for the proposed new Customer Information
6 System, and you talk about a three-year period, I suppose
7 any interim solution that you would look at would have a
8 cost as well beyond what you're using now? If there was
9 one available.

10 **A.** (Lanteigne) Just to clarify, the
11 project itself would approximately be a 24-month delivery
12 upon approval from the Board. I think that's just
13 important to note. And we don't believe that there would
14 be a way with the existing Customer Information System to
15 actually, I guess, come up with an enhanced or different
16 way of estimating those.

17 And if I could ask Mr. MacLeod just to
18 elaborate on that, I would appreciate that.

19 **A.** (MacLeod) True statement by Mr.

1 Lanteigne.

2 Just kind of goes back to the legacy
3 system, and I'll touch on that. The risk -- the billing
4 works as designed and produces accurate bills, and in a
5 legacy system we just do not want to do anything that puts
6 that in jeopardy, so that's why the legacy system we're
7 taking very careful thought before doing anything inside
8 the legacy system.

9 To move a billing function or a
10 calculation -- a bill calculation somewhere else and bring
11 it back in is also complex and risky. And keeping that
12 customer account meter relationship and everything that
13 goes with that and move-ins and move-outs, it's -- it's
14 just not possible to do an interim step, so the best
15 pathway is towards a new CIS system.

16 And to say for estimation
17 specifically, we have AMI back in place. It is a robust
18 estimating system, and anticipate that will be in place
19 right up to our new CIS, beyond that as well.

1 Q. Well, I appreciate that you're
2 not going to use the CIS system to do bill estimation
3 except for that limited circumstance for those that have
4 opted out. I'm just looking at if something happens in
5 the interim between now and when the new GIS -- sorry; CIS
6 system is put into place.

7 A. (MacLeod) With how we're
8 architected in the cloud now, we have much more
9 resiliency. The previous AMI system was at our local data
10 centre where the threat actor in this circumstance -- that
11 was one of the places that was affected by this
12 cyberattack. With it being in the cloud, there's more
13 resiliency and redundancy, so we ---

14 Q. So if ---

15 A. (MacLeod) --- don't expect ---

16 Q. --- if there were an incident and
17 it's in the cloud, you might be able to access it, but you
18 couldn't access it in this ---

19 A. (MacLeod) Might fail to access it

1 | or bring it back to normal operations.

2 | A. (Lanteigne) And to clarify as
3 | well on your concern for opt-out customers specifically, I
4 | think, again, we've talked about how multiple estimated
5 | bills in a row obviously exacerbated some of the concerns
6 | that were occurring, but the situation, if we still need
7 | to estimate a single bill for our customer, you know, our
8 | team is obviously focused on making sure that the next
9 | ones are true rather than having multiple bills in a row
10 | estimated, so it should help mitigate the concern as we
11 | leverage the current system.

12 | Q. You mentioned a few times the
13 | fact that the majority of the concerns that have been
14 | expressed to NS Power relate not so much to the
15 | overbilling situation but the -- or the overestimation
16 | situation but to the underestimation situation where a
17 | large amount was outstanding. Is that partly due to the
18 | fact that because you reverted back to the warm weather
19 | subroutine, it created that problem?

1 [9:40:40] **A.** (Lanteigne) I actually -- I do --
2 I don't want to say that decision didn't result in some of
3 them, but I think the concerns that I was referring to
4 were actually concerns that existed even prior to
5 November. So those were the customer escalations that
6 were coming to us and concerns that were coming to us.
7 That was what was causing the issue, was just that true
8 read coming in, if it had been below because again
9 something in -- in many cases, something changed at the
10 premise to drive up usage in the customer's home. Those
11 concerns were prevalent prior to November. So again, I
12 don't want to speculate and say that it did not occur
13 after November because of that specific issue, but I know
14 that that was an issue that we were experiencing all
15 along.

16 **Q.** One final question. I'll just
17 make sure -- I'll ask the question and I'll check back to
18 see if I have any other questions on billing.

19 **MEMBER MELANSON:** But N-17, in the

1 rebuttal evidence, and it's at PDF page 37 and flowing
2 into page 38. So we can show, Rob, the bottom of PDF 37
3 and the top of 38 in N-17.

4 **BY MEMBER MELANSON:**

5 Q. Okay. So at line 28, starting at
6 the sentence:

7 If NS Power does revert to CIS estimated
8 billing again, the Company has tracked
9 lessons learned, has more detail regarding
10 how to adjust seasonal logic further for
11 accuracy, and will consider all reasonable
12 efforts to become better equipped to handle
13 volume and duration if the seasonal
14 subroutine remains a secondary contingency.

15
16 I guess my first question on that is I
17 didn't think that you could adjust the seasonal logic
18 further than what you've already done, can you?

19 A. (Lanteigne) I think the lesson
20 learned is exactly what you described and what we listed
21 here in the evidence. I think the -- you know, the
22 approach from our perspective is that if we were in a
23 situation again where estimation had to happen at a high
24 level heading across kind of the change of seasons in CIS,

1 heading into that, we would be able to potentially make
2 minor adjustments to allow us to try to improve, again
3 recognizing that estimates are estimates. But that's one
4 of the biggest takeaways from that.

5 And I think that some of the other
6 pieces that, while it's not CIS estimation routines
7 specifically, but some of the items that we talked about
8 yesterday was just how, you know, our AMI restoration
9 efforts that have happened have included a more robust
10 contingency plan to ensure that it's available and that we
11 don't have a situation like we did last year where we lose
12 that functionality from April until the restoration
13 started in late December.

14 **Q.** You used the phrase again -- and
15 I'm not sure if you said minor, but adjustments to the CIS
16 system. Can you make adjustments other than changing the
17 seasonal ---

18 **A.** (Lanteigne) Yeah, and thank you
19 for that question. Just so I can clarify, you know, a

1 | change to the actual estimation program in CIS would
2 | require programming that, again, as we've talked about, I
3 | think is not possible. From our perspective, the ability
4 | to determine and inform CIS of what period to use warm
5 | versus cold, that would be the minor adjustment. It's not
6 | a change to the programming logic. Thank you for
7 | clarifying that.

8 | Q. That's fine. And on the last
9 | point, but the concern is that if you start doing changes
10 | to the programming, if I understand you correctly, you may
11 | lose the ability to issue bills on time and accurately to
12 | the vast majority of the people that are receiving bills.
13 | Is that a concern?

14 | A. (Lanteigne) If the Customer
15 | Information System was not available for some reason, we
16 | could lose the ability to issue bills for all customers,
17 | yes.

18 | Q. Okay. At the risk of having Mr.
19 | Clarke indicate that the question has been asked and

1 | answered and Mr. Williams saying that it's not relevant,
2 | I'm going to go into the issue of the commitment that Nova
3 | Scotia Power made with respect to the costs associated
4 | with the restoration of the system. And I'm not going to
5 | go into any detail. I'm looking at a high level. I'm not
6 | even going to point to the actual specific costs.

7 | But if I understand correctly what the
8 | commitment is, there was, in 2025, costs incurred that are
9 | being tracked, but rates did not increase in 2025, so
10 | those costs, by definition, can't be included -- can't
11 | increase the rates because the rates were already approved
12 | in 2022. Is that basically for the 2025 costs situation?

13 | **A.** (Williams) Yes. Just to maybe
14 | say it in my own words, the rates for 2025 would have been
15 | approved in 2022. Actually, I think maybe the decision
16 | was early 2023, to be exact. But in any event, they would
17 | have been approved as part of that GRA sub rates for '23
18 | and '24. Rates were not adjusted, as you've indicated, in
19 | '25, so the costs that would be in customer rates would

1 have been as forecast when the application was filed in
2 2022.

3 Q. And for the 2026-'27 period, any
4 known cyber costs that relate to restoration were not
5 included in the projected forecast; is that correct?

6 A. (Williams) That's exactly
7 correct. It's the same premise or principle, but just the
8 timing is obviously a little bit different in that the
9 forecast for the '26-'27 General Rate Application was
10 completed and put into application form prior to the event
11 happening. And so again, there were no costs related to
12 the cyberattack included in the forecast revenue
13 requirement that was approved as part of the '26-'27
14 General Rate Application, which then means, as you've
15 indicated, that there are no costs associated with it in
16 '26 or '27 rates that customers will pay.

17 Q. Right. And really the only way
18 that you could include, say, operating costs or any costs
19 that are associated with the restoration process under

1 | general principles would be to do an application, like has
2 | been done in the past for extraordinary remedies to
3 | include that cost that's not included in rates already?

4 | **A.** (Williams) To include any costs
5 | that were incurred in '25, '26, or '27 in customer rates,
6 | there would need to be a deferral mechanism approved that
7 | would carry those costs forward for recovery in a future
8 | period.

9 | To the point of the discussion
10 | yesterday when we talked about capital costs, if there's
11 | any costs associated with capital projects that are
12 | related to a delay, was the example yesterday, stemming
13 | from the cyber incident, to the extent that, again, there
14 | was a delay, there was costs associated with that delay
15 | and that those costs have been deemed imprudent, those
16 | costs on a forward basis would not be included in rate
17 | base as approved by the Board in whatever capital
18 | application we're talking about.

19 | **Q.** I think the point that Ms.

1 Rudderham was making about that and the fact that the --
2 this situation, and I don't know if this is -- in theory,
3 if the project is put forward in 2026 while this process
4 -- and this process alone is not looking at the entire
5 picture of the cyber incident, the causes and so forth --
6 it doesn't look into causes at all to some extent from a
7 technical point of view. A project before the Board in
8 that timeframe, before this proceeding and the technical
9 proceeding is completed, a project before the Board is not
10 going to address whether there's been prudence or
11 imprudence in relation to the cyber incident because it's
12 not completed. I think that was part of the conundrum
13 that Ms. Rudderham was trying to point out. What do you
14 say to that?

15 **A.** (Williams) Well, I think -- and
16 again, it's the same discussion that I had with
17 Ms. Rudderham. I don't think we need to reinvent the
18 wheel, if you will. The processes that exist in places,
19 whether it's a capital application or the discussion we

1 | had about the FAM, are certainly available and able to
2 | address those issues.

3 | So to the extent that there's any
4 | costs in a capital -- to use your example, if we were to
5 | come forward with a capital application in '26, or at
6 | anytime before there's been an opportunity to fully assess
7 | the cyberattack, if there are costs associated with a
8 | delay, and those costs relate to the cyberattack, then I
9 | would envision the Board has the ability to identify those
10 | costs and make any decision that it had to make in
11 | relation to that capital application, contingent on an
12 | ultimate determination on those costs.

13 | [9:50:15] Q. Okay, thank you.

14 | Just a short one. In the evidence, it
15 | talks about the company not being aware of any customer-
16 | reported fraud or identity theft that's been reported to
17 | the company; that was when the IR responses were filed.
18 | But I'm just wondering as of today's date, do you have any
19 | information about any company customer-related fraud or

1 identity theft?

2 A. (Lanteigne) As of today, the
3 panel is now aware of any reported.

4 Q. Okay. I'm going to talk about
5 phishing, and I'm going to go to a different exhibit than
6 what was discussed yesterday. In fact, part of that
7 exhibit I think had some of the answers to the -- some of
8 the information that was asked in the undertaking.

9 **MEMBER MELANSON:** But it's
10 Exhibit N-11, at PDF page 19. N-11, at PDF page 19.

11 And just scroll down a little further,
12 at line 16, but I'm going to look at that whole chart.
13 Thanks.

14 **BY MEMBER MELANSON:**

15 Q. So this actually has the
16 information from -- for the phishing results, test results
17 from April of 2023 to April of 2026. The one -- because
18 we've already discussed some of these, the 17 percent and
19 so forth, in February of 2024. But the one that was sort

1 of standing out to me is the 14.3, sorry, not 14.3;
2 9.6 percent in September of 2025. So can you just look at
3 -- sorry. September of 2025. Yes, 9.6 in September 2025.

4 And this is, you know, just a few
5 months after the cyber incident, and I'm just wondering if
6 that particular failure rate would have been a bit
7 concerning to the company.

8 A. (Lanteigne) Maybe I'll start and
9 Mr. Williams might add. I think from our perspective, to
10 elaborate on what we talked about yesterday, you know,
11 Nova Scotia Power takes these phishing exercises and
12 failures to phishing very seriously. So the 9.6 percent
13 failure in September of 2025, that you highlight, that
14 would have been something that we would have talked about
15 at the senior level.

16 Mr. Williams, I think yesterday
17 mentioned that at Director and up levels there would have
18 been discussions happening. There would have been also --
19 anyone who failed these exercises, as well, would have

1 | been notification to the senior leadership of the
2 | departments, including the executives are aware of
3 | failures.

4 | Employee follow-up would include
5 | follow-up from their direct leader. It would also include
6 | being registered in remedial training to go and actually
7 | learn more about the error that they specifically
8 | committed.

9 | And as well, as we talked about, you
10 | know, additions that were made to the follow-up of
11 | consequences for employees who are not acting on the
12 | phishing exercises. That there is actually potential
13 | financial repercussions for employees moving forward if
14 | they have multiple failures in the run of a year.

15 | I think, again, just one piece we
16 | talked about yesterday that I think is really important
17 | about these tests is they are designed to be very
18 | difficult. And we -- while we don't like to see the
19 | failure rates increase, we are actually -- it's a good

1 | thing. That the training is -- and the exercises are very
2 | difficult because we want to make sure that we can prepare
3 | as best as possible for phishing attacks against Nova
4 | Scotia Power.

5 | And Mr. ---

6 | Q. On the ---

7 | A. (Lanteigne) Sorry.

8 | Mr. Williams, anything to addition to
9 | that? Okay.

10 | Sorry.

11 | Q. On the training aspect, I'm
12 | assuming that there is regular training, we've already
13 | talked about this. So there's not training before every
14 | test.

15 | A. (Lanteigne) Not exactly, but Nova
16 | Scotia Power does actually conduct quarterly training with
17 | all employees. It's just mandatory for all employees to
18 | complete quarterly training. The additional training,
19 | that would be targeted to employees if they actually fail.

1 And interestingly enough, Mr. Williams
2 talked yesterday kind of about the cultural changes that
3 we've seen at Nova Scotia Power with regards to keeping an
4 eye out for potential phishing attacks against the
5 organization. And employees who do pass, as well, you
6 know, there's that immediate validation of the pass.

7 So when you report the phish through
8 the email systems that we have, you get instant
9 confirmation that you have successfully passed the
10 phishing test. So even if you're not doing the training
11 because you failed, you're getting the validation that,
12 and the reinforcement, that yeah, you did the right thing.
13 You caught it and you successfully passed this exercise.

14 Q. There's one aspect, actually
15 talking about remediation and steps taken after the
16 results are known. And I'm just going to go to the
17 rebuttal evidence at page, sorry, at N-17, PDF page 22,
18 and at lines 22 to 27.

19 And this is in response to

1 | recommendations about restricting computer access for
2 | failures into the policy standards. And the response is,
3 | "Regarding computer" -- or the rebuttal says:

4 | Regarding computer system access controls, NS
5 | Power must balance risk with ensuring
6 | employees have the tools they need to perform
7 | their job function. Further, access to NS
8 | Power's computer systems and data are
9 | granted, limited, and maintained based on the
10 | requirements of each role.

11 |
12 | And it says:

13 | To [Nova Scotia] Power's knowledge,
14 | restricting computer system access is not
15 | currently a common disciplinary or punitive
16 | practice.

17 |
18 | And my question is, if computer access
19 | is restricted to what the current employees need to
20 | fulfill their roles, currently, if you restrict it
21 | further, doesn't mean that they wouldn't be able to do
22 | their role at all?

23 | **A.** (Williams) That's exactly right.
24 | So if we're in a situation where someone is a risk in that
25 | they are continually failing phishing tests, to the point

1 | where we would need to restrict their access and limit the
2 | ability to do their job, we're not having a discussion
3 | about limiting access on the computer; we're having a
4 | discussion about continuing to work.

5 | Q. So it's a dismissal type of issue

6 | ---

7 | A. (Williams) Yes.

8 | Q. --- as opposed to a training
9 | issue.

10 | A. (Williams) Correct.

11 | Q. Just some short questions.

12 | MEMBER MELANSON: It's -- the next one
13 | is at Exhibit N-2, PDF page 6. N-2, PDF page 6, lines 18
14 | to 20. And it's part of the discussion about the
15 | TransUnion protective features.

16 | MR. NORWOOD: (Inaudible due to off
17 | microphone.)

18 | MEMBER MELANSON: Yeah, no problem.
19 | I'll wait until it's up there. Just setting the context.

1 MR. NORWOOD: Page? I'm sorry.

2 MEMBER MELANSON: Sorry. PDF page 6,
3 lines 18 to 20.

4 BY MEMBER MELANSON:

5 Q. And it's the Dark Web Monitoring
6 portion of it. It talks about Dark Web Monitoring being
7 available, but:

8 ...which monitors surface, social, deep, and
9 dark websites for potentially exposed
10 personal, identity and financial information
11 and helps protect individuals against
12 identity theft.

13
14 This is actually the information
15 coming from TransUnion. I'm not sure if you have any
16 familiarity with this, but my understanding is to access
17 that service there is a proactive step when you register
18 to be able to access that particular function. Is that
19 correct?

20 A. (Lanteigne) You are correct, that
21 was a TransUnion service. Based on my knowledge of the
22 service, once you've registered for myTrueIdentity, you

1 | can actually go into that section of myTrueIdentity, and
2 | you can activate dark web monitoring for what information
3 | you want monitored.

4 | Q. But it won't -- it's not a
5 | monitoring scenario where it's automatically if you just
6 | register with myTrueIdentity you will automatically have
7 | that monitoring. You have to actively go in and request
8 | it?

9 | A. (Lanteigne) That is correct.
10 | It's another step that you would take in TransUnion. What
11 | is automatic with TransUnion, though, is, is as you sign
12 | up, you know, the system is monitoring changes to your
13 | credit report, so if someone does -- if something happens
14 | to your report, you'll actually get notifications if
15 | there's been a change.

16 | But the actual -- if you wanted to put
17 | a specific item to monitor on the dark web, you are right.
18 | That is a step that you would take in TransUnion software.

19 | A. (Williams) Maybe, Mr. Melanson,

1 | just to be clear, as someone who has gone through the
2 | process, it ---

3 | Q. You're talking to someone who has
4 | as well.

5 | A. (Williams) Well, just to -- for
6 | everyone else, perhaps.

7 | It's not an onerous step. It's when
8 | you register, you're entering the relevant information you
9 | want monitored and then you're simply ticking a box as
10 | part of that registration. It's not like it's an
11 | additional substantive step. It's all part of the
12 | process.

13 | [10:00:14] Q. When I tried to register, I was
14 | advised that the information I provided was wrong, it
15 | wasn't what they already had in their database. I wasn't
16 | aware I was already in their database through my bank, so
17 | it's one of those strange situations.

18 | Anyway.

19 | Just another short one. Exhibit N-2,

1 PDF page 7. And it's in the middle of the page somewhere
2 there, but it talks about -- it's about communicating with
3 clients and it's discussing -- there's a reference to a
4 national search optimization. I didn't know what that
5 was, what a national page search optimization is.

6 A. (Lanteigne) Essentially, what it
7 would mean is if you're using search engines such as
8 Google, the -- certain keywords would be -- essentially,
9 Nova Scotia Power would ensure that our results come up
10 first to help provide information.

11 I think when an incident like this
12 occurs, you know, it's -- we know that customers will
13 reach out to searches of information like the internet to
14 search for info, so we tried to ensure that if someone was
15 searching for, you know, "Nova Scotia cyber incident," for
16 example, they would be able to find that detail that would
17 be helpful.

18 And as we've talked in our various
19 updates to this incident, we have provided information on

1 | our website as well to help customers understand the
2 | incident but also how to sign up for myTrueIdentity and
3 | other steps that they can take to protect themselves. So
4 | we just made sure that, as customers were leveraging
5 | search engines, they were able to find information that
6 | would help them in this regard.

7 | **A.** (Williams) Mr. Melanson, I'll
8 | just add one of the reasons that, you know, page search
9 | optimization is as important as it is is not just what Mr.
10 | Lanteigne identified, which is that it pushes it to the
11 | top of your search results and makes it apparent and
12 | obvious, but when incidents like this happen, it's -- the
13 | potential also exists for websites to be spoofed, and so
14 | if someone were to search "Nova Scotia Power" and there's
15 | a spoof website out there, we took this step to ensure
16 | that our actual web page was the top and not some spoofed
17 | page.

18 | So there's that added reason, not just
19 | the availability of the information, but the security of

1 the information that they're receiving as well.

2 Q. Okay.

3 MEMBER MELANSON: Those are my
4 questions, Mr. Chair.

5 THE CHAIR: Mr. Deveau?

6 VICE CHAIR DEVEAU: Rob, could you
7 pull up Board IRs Exhibit N-2, PDF page 23?

8

9

10

11

12

13

14

15

16

17

18

QUESTIONS FROM VICE CHAIR DEVEAU

Q. So panel, just continuing on some questions Mr. Mahody asked you late yesterday afternoon about the two letters that went out notifying customers May 10th and in relation to the Social Insurance Number, so what you see on your screen here is Exhibit N-2, IR-1, Attachment 2.

So that's the second letter which contains the reference to Social Insurance Number. The prior -- the other letter essentially identical, if you agree, except -- but for the reference to Social Insurance Number at the end of that sentence?

A. (Williams) Yes, sir. And that would be Attachment 1, the other letter without the Social Insurance Number reference.

Q. Right. Right.

So Mr. Mahody referred to confusion over the two letters and -- by customers, and it was just -- the two letters were leading to, you know -- from what

1 the Board saw in the letters, there was like a comparison
2 of both letters and, you know, why does yours have Social
3 Insurance Number and mine doesn't. The use of the word
4 "May" was there, which perhaps led to more confusion.

5 I'm just wondering if it would have
6 been clearer for the public if you had taken out -- at the
7 end of that sentence, if you had ended the sentence after
8 driver's licence number and then just put in a new
9 sentence saying, "Our records show that your Social
10 Insurance Number was also part of the data that Nova
11 Scotia Power had on our systems and they have been
12 accessed by the threat actor."

13 Wouldn't that have been clearer,
14 perhaps avoided some confusion?

15 **A.** (Williams) Wordsmithing on the
16 fly, sir. It's an alternate way of putting it, and it may
17 have addressed the confusion that has been raised by some
18 customers.

19 I think it's important to kind of

1 contextualize it, and Ms. Valdetero does this in her
2 evidence where, when you're communicating to a large
3 amount of people -- and I say this not to diminish the
4 concerns or confusion that arose with certain customers
5 because that is -- that is acknowledged and that is
6 understood. But there were a large number of customers
7 that received this and didn't -- were not confused by it
8 and understood it, didn't raise the concerns, at the very
9 least.

10 I go back to the discussion I had with
11 Mr. Mahody that we're talking about two things here. One
12 is could we have been more precise with the information
13 that we were identifying for customers that we had that
14 was pertaining to them.

15 That is not something that would have
16 been reasonably possible ---

17 Q. Yeah, I'm not talking about that.

18 A. (Williams) Yeah. No, I
19 understand.

1 Q. I realize -- I understand what
2 you're saying about the "May have been accessed."

3 A. (Williams) And so ---

4 Q. It's just the fact that there
5 were -- there was a subset of customers that you had their
6 Social Insurance Number on record, and that may have been
7 accessed.

8 All I'm saying is, wouldn't it have
9 been clearer if that had been specifically taken out of
10 that first sentence and added another sentence so people
11 knew -- there was no confusion, you know, my -- you know,
12 one letter says, "Our records show that your Social
13 Insurance Number was part of our records and may have been
14 accessed"? Wouldn't that have been clearer?

15 And you -- yeah.

16 A. (Williams) So I think -- again,
17 the two letters were done intentionally, one to identify
18 the group that we had the Social Insurance Numbers for.
19 Having this discussion today, could we have worded it

1 differently to address some of the concerns that were
2 raised? Yes, I mean, I think absolutely.

3 Q. Suppose ---

4 A. (Williams) When you know the
5 concern with the letter, you can address the concern, but
6 in real time when we're drafting the letter and putting it
7 out there, we don't know of that concern and that
8 potential confusion ahead of time.

9 But yes, absolutely now, in hindsight
10 with the knowledge of what the concern was, we could have
11 drafted it differently to address that concern.

12 Q. I suppose my concern is exactly
13 that.

14 The addition of those -- you know,
15 those four words "And Social Insurance Number" was
16 intentional. You obviously directed your mind -- whoever
17 drafted this letter -- and I'm sure it wasn't drafted in
18 five minutes. I'm sure a lot of people looked at this
19 letter in terms of, you know, what's contained in this

1 letter. And you know, intentionally just adding that at
2 the end of the list, I'm just -- again, you've mentioned
3 in your Opening Statement and your rebuttal about
4 transparency, and I'm just -- it was -- well, you've seen
5 the letters and there has been a lot of discussion on this
6 issue.

7 There's a lot of -- a lot of
8 discussion was about the Social Insurance Number, and I
9 think you realized that that was an issue when you
10 intentionally added those words at the end, so...

11 A. (Williams) Yes.

12 Q. Yeah.

13 A. (Williams) So I -- two points
14 I'll raise, and one was what I'd discussed with Mr.
15 Mahody, that the "May" at the start of this is intentional
16 to make sure it's clear that we don't know definitely ---

17 Q. I understand.

18 A. (Williams) --- what was -- what
19 was access.

1 Q. I understand that, yeah.

2 A. (Williams) The other is, I think
3 -- you know, I understand your point and, as I said, in
4 hindsight I can get there.

5 These letters were drafted with advice
6 from external experts who would have advised on a number
7 of different responses, and they would have had input on
8 the wording of these letters as well. And so to a certain
9 extent we were relying on their experience and what would
10 have been appropriate and reasonable in response to past
11 breaches, but I certainly appreciate your point that now
12 knowing what the concerns we could have been different, we
13 could have provided a different language.

14 Q. Yeah, okay. And just to follow a
15 point there, my understanding was that customers could
16 call and find out what you had in your CIS system;
17 correct, about them?

18 [10:09:57] A. (Lanteigne) That is correct. And
19 I think to add to what Mr. Williams indicated, recognizing

1 | that the data that was affected was different than what
2 | was the current information in the Customer Information
3 | System that did contribute to some of the ---

4 | Q. That was my question.

5 | A. (Lanteigne) Yeah.

6 | Q. So if a customer called to ask if
7 | you had that on your records, their Social Insurance
8 | Number, the answer -- on our Customer Information System,
9 | your Social Insurance Number is not contained in that
10 | system, but it had been purged by then, obviously;
11 | correct?

12 | A. (Williams) So, yes, it brings me
13 | to another point that we should have discussed perhaps
14 | earlier. So we would have at one time had their Social
15 | Insurance Number.

16 | Q. Correct.

17 | A. (Williams) It would have been
18 | purged -- but it also could have been purged prior to 2024
19 | and prior to 2021, so you know we may have had your Social

1 Insurance Number at one point in time. It doesn't
2 necessarily mean that it was part of the cut that went
3 into the Data Lake. Are you following me, sir? Because
4 we did purge some Social Insurance Numbers between 2018
5 and 2021, so ---

6 Q. Right. But when a customer
7 called you could indicate whether right now you have --
8 customer calls, "Is my Social Insurance Number on your
9 system?" Then you could say no, but were they also
10 advised that, "However, it may have been included in the
11 information that was accessed"?

12 A. (Lanteigne) You are correct.
13 There's very specific, you know, scripting that we did
14 provide to our customers service associates, and really
15 the important point was for customers to follow the
16 guidance that had been provided in the letter and take the
17 steps provided in the letter and protect that information
18 because we didn't -- to avoid -- the discussion has been
19 we did not -- we don't have on the current system what was

1 necessarily affected, so...

2 Q. So in the incident report it
3 mentions the -- it has the questions that TransUnion had
4 access to. I may have missed it, but I don't recall
5 seeing -- I don't recall seeing that particular script
6 that it's not on our system now, but it may have been
7 accessed; is that one of the questions and answers?

8 A. (Lanteigne) TransUnion would not
9 have had access to our Customer Information System so they
10 would have not answered that question.

11 Q. Okay. So if it was escalated, it
12 would come to you?

13 A. (Lanteigne) Or if a customer
14 called us directly.

15 Q. Right, okay. Did you have a
16 script for that?

17 A. (Lanteigne) Yeah, essentially
18 it's what I talked about. It's really just, you know,
19 "Yes, we can confirm what's on file but protect yourself

1 | based on what you received in your letter.:

2 | Q. Okay. I didn't realize that. So
3 | they would have access to the TransUnion list of questions
4 | that were contained in the incident report, but they had a
5 | separate bunch of -- series of questions and answers as
6 | well?

7 | A. (Lanteigne) Our customer service
8 | associates had a lot of the same questions that the
9 | TransUnion general question line would have had but we
10 | would have had the ability to answer questions about,
11 | like, regular service (inaudible due to mumbling) on our
12 | current system, yes.

13 | Q. But in terms of the -- about the
14 | cyber incident, there was a separate script for Nova
15 | Scotia Power staff to answer those questions about the
16 | cyber incident?

17 | A. (Lanteigne) Yeah, essentially
18 | just to take -- to address situations like the one we're
19 | talking about; like, what is currently on the system.

1 Q. Right.

2 A. (Lanteigne) Just to answer
3 questions like that because, again, back to this
4 conversation about the letter, we do understand that the
5 data that was affected and the current data on the system
6 were not necessarily the same, so we just wanted to make
7 sure that, you know, yes, we can answer questions about
8 what we have on the system, but also make sure that
9 customers are aware it's important to take the steps to
10 protect themselves as outlined in the letter.

11 Q. Right. So did you have an actual
12 script as you did for TransUnion? Is this something you
13 can provide?

14 A. (Lanteigne) We could take that as
15 an undertaking, yes.

16 Q. Okay.

17 VICE CHAIR DEVEAU: Can I ask for
18 that, Chair?

19 BY VICE CHAIR DEVEAU:

1 Q. So again, I'm not asking you to
2 prepare anything, but you had a script for ---

3 A. (Lanteigne) Yeah. Yeah
4 absolutely. No, no, it's a fair question and I appreciate
5 clarifying kind of the different experience between the
6 two groups. Thank you.

7 THE CHAIR: Undertaking U-12.

8 UNDERTAKING U-12 - To provide the
9 script given to Nova Scotia Power
10 staff to answer questions about
11 the cyber incident

12 VICE CHAIR DEVEAU: The compliance
13 letter from the Office of the Privacy Commissioner of
14 Canada; I think it's on the record as part of, Rob, N-11
15 which are the Small Business Advocate IRs. So it would be
16 IR-18, and it would be -- Rob, it would be N-11, PDF page
17 32, and then can you click -- are you able to click on
18 there? Will that work for you to click on there and bring
19 that up? Yeah.

1 BY VICE CHAIR DEVEAU:

2 Q. So in terms of the compliance
3 letter, that is -- both terms were agreed to between the
4 Office and Nova Scotia Power, I assume; that there was
5 some discussion about the contents of that letter before
6 it was published? It was consensual of what went up in
7 terms of what was issued?

8 A. (Williams) To the extent that say
9 there was discussion, it was not an negotiation.

10 Q. No, no, no, I realize that.

11 A. (Williams) There was discussion
12 obviously. It was offered to us as something that could
13 be signed and agreed to.

14 Q. Right. And you agreed to it?

15 A. (Williams) Yes. Yes, it was
16 signed.

17 Q. Now, just one issue that I saw in
18 it, and I'm just wondering in terms of the Statement of
19 Facts.

1 **VICE CHAIR DEVEAU:** If we go to --
2 just a little bit down, three or four headings down, Rob,
3 it starts, "Complaints received by the OPC"; it's a
4 heading. The next one. Yeah, right there.

5 **BY VICE CHAIR DEVEAU:**

6 **Q.** So under, "Complaints received by
7 the OPC," the second bullet there. It says one of these
8 complaints related to the collection and retention of SIN
9 numbers. And then it says:

10 Nova Scotia Power explained that SINS were
11 included in the data accessed and exfiltrated
12 by the threat actor from a data repository
13 related to the organization's program for the
14 provision of energy usage insights to its
15 customers. (As read)

16 So if we keep that in mind, and I'd
17 refer you to the rebuttal N-17, page 30. And it's at line
18 5. It says, "The Attack involved unauthorized access to
19 data stored on NS Power's NAS..." which is a network
20 attached storage, "...and within its Azure Data Lake
21 environment, which contained tens of thousands of files."

1 Commissioner aware of that additional infiltration?

2 A. (Williams) Yes, sir, my
3 understanding would be that they were certainly aware.
4 This section that we're referring to is specific to the --
5 they're summarizing the complaints they received and
6 they're talking about the summaries in particular.

7 Q. So it's not something that came
8 after the complaints letter or anything?

9 A. (Williams) No, sir.

10 Q. They were aware about that too?

11 A. (Williams) Yes.

12 Q. Okay.

13 **VICE CHAIR DEVEAU:** Rob, can we go to
14 Nova Scotia Power's Opening Statement, N-21?

15 **MR. NORWOOD:** Exhibit N-21?

16 [10:20:49] **VICE CHAIR DEVEAU:** Yeah. And it's
17 the first paragraph we're looking at, page 1, first
18 paragraph.

19 **BY VICE CHAIR DEVEAU:**

INTERNATIONAL REPORTING INC.

CERTIFIED COURT REPORTERS

1 Q. You say at the end of that
2 paragraph:

3 We acknowledge the work ahead of us to
4 improve our customers' trust and we are
5 committed to earning it through transparency
6 and accountability, including being here
7 today to discuss the Attack and our response
8 in more detail.
9

10 **VICE CHAIR DEVEAU:** And then at the
11 penultimate paragraph at the bottom of the -- I think it's
12 at the bottom of the page -- sorry, it's at the very end,
13 the very end of the document, the second-last paragraph
14 there -- sorry, go back to that first page. It's the
15 penultimate paragraph, but I must have meant the
16 penultimate paragraph on that page. Right there. Yeah,
17 it is. Sorry, it was the penultimate paragraph of that
18 first page.

19 **BY VICE CHAIR DEVEAU:**

20 Q. The last sentence there:

21 We accept accountability for the stewardship
22 of the customer information in our care, and
23 we accept responsibility for continuously
24 strengthening our safeguards against
25 evolving threats.

1
2 My question is just a general
3 question. Could you describe how the Company has accepted
4 accountability for the customer information in its care?
5 I'm just wondering what do you mean by accountability? Is
6 it more than just essentially committing to not charging
7 customers for restoration costs? Is there -- what does
8 accountability mean?

9 **A.** (MacDonald) Thank you for the
10 question, Mr. Deveau. I think really what's intended
11 there is in the totality of all that we've acknowledged
12 and are attempting to be as transparent and accountable as
13 possible about, whether that be explaining how the billing
14 has worked, explaining the commitments in the privacy
15 letter -- the Office of the Privacy Commissioner letter,
16 that is -- that's what we're getting at there is just a
17 general totality of what has happened and how we are going
18 about it is the accountability there.

19 Mr. Williams might want to elaborate

1 on anything sort of specific or from his point of view in
2 terms of what we mean by those words.

3 A. (Williams) I certainly agree with
4 what Ms. MacDonald has said, sir. There's no one aspect
5 to this that I can point to that's demonstrating our
6 accountability. It's the aggregation of everything, and
7 so the commitment you referred to, the commitment letter
8 that we were just talking about with the OPC, going
9 through and undertaking that process with the OPC and not
10 just going through that process. It's not a choice to go
11 through that process, but the manner in which we go
12 through that process matters, just as it does this process
13 today and the process that will follow this one. It's not
14 just about participating in those processes but the manner
15 in which we do so, the manner in which we show up, the
16 manner in which we're providing evidence, attempting to be
17 as responsive and transparent as we possibly could be, and
18 part of that is also acknowledging where we have work to
19 do or enhancements to make or what we need to do in the

1 future to ensure that something like this does not happen
2 again, to the best of our ability.

3 So to me, it's the totality of that
4 and it's not just, you know, tangible things that we can
5 point to, but it's also, as I said, the approach we take
6 and the commitments we make along the way. You know, Ms.
7 MacDonald said in the Opening Statement that it's actions,
8 it's not words. So while it's, I'm sure, some comfort to
9 hear us speak today and hear myself and Ms. MacDonald say
10 these words, we know that there's work to be done to
11 demonstrate that accountability is something that we take
12 seriously and something that we've accepted.

13 **Q.** I ask this on behalf of customers
14 because you've read the letters of comment, and for many
15 customers, accountability means repercussions. And I'm
16 just wondering in terms of those types of questions, what
17 would be your response to that?

18 **A.** (Williams) So I certainly
19 understand that the perspective of some may be that

1 | accountability means repercussions. I wouldn't
2 | necessarily agree with that, but I certainly think it does
3 | mean that there must be actions taken, regardless of
4 | whether those are repercussions or not. I think it's
5 | important to understand that, and as we've discussed and
6 | as is included in CA IR-6, there are significant costs
7 | that the Company has already incurred as a result of this
8 | that customers will not pay for, and we discussed those,
9 | and I'm happy to do so again, but I think everyone is
10 | aware. We've also talked about in addition to those
11 | costs, the cost of carrying -- the carrying costs for the
12 | customers' outstanding bills, the lost revenue from late
13 | fees. So there's a number of different avenues where
14 | there has been a financial -- a significant financial
15 | impact to the Company already.

16 | So if we want to talk about
17 | repercussions, those are financial repercussions that are
18 | very real and very significant for the Company and its
19 | shareholder.

1 In terms of actions, which I think is
2 perhaps the more constructive approach to this discussion,
3 we, I think, have identified a number of different actions
4 that we're taking thus far. Already in this proceeding
5 there's a number that are outlined in our rebuttal
6 evidence of constructive things, tangible things that we
7 are doing, again, to enhance our stance both from a
8 privacy perspective but also from a cybersecurity
9 perspective, and you'll hear much more about that in the
10 compendium process.

11 So, you know, accountability is a
12 number of different things. In terms of actions going
13 forward, there are, I think, a plethora of evidence that
14 we take that very seriously, that we've identified a
15 number of concrete actions on a go-forward basis, and
16 there will be more to come as we move through the audit
17 process with LevelBlue, and you'll be seeing the outcome
18 of that. I full expect there to be more work to be done
19 and more deliverables that we'll add to that list of the

1 | actions that we'll take forward.

2 | Q. Okay. Let's get into some of the
3 | matters. The first, I'd like to refer you to the incident
4 | report.

5 | **VICE CHAIR DEVEAU:** Rob, that's N-16,
6 | and it's about the removal of Social Insurance Numbers.
7 | So let's go -- it's N-16 and it's the section on page -- I
8 | think it would be page 43. Yeah.

9 | **BY VICE CHAIR DEVEAU:**

10 | Q. So this is where you go through
11 | the history, starting at line 16 there. In 2018, you --
12 | there was a practice to collect the Social Insurance
13 | Numbers and in 2018 you changed that practice to no longer
14 | collecting them. And then in May of 2024, line 23:

15 | In May of 2024, NS Power developed and
16 | commenced a process to purge customer SINS
17 | from the CIS environment.

18 | So we've reviewed that already. Then
19 |
20 | the next page, at line 16, you say:

21 | On June 25, 2025, Nova Scotia Power publicly
22 | committed to permanently deleting instances

1 of SINS that remained in the Company's
2 system.

3
4 This, of course, was after the breach
5 and when you committed to deleting the rest of the SINS.

6 It said:

7 The Company has initiated a process to
8 identify and remove instances of SINS
9 contained within its records. It later
10 confirmed this was substantially completed
11 by March 31, 2026.

12
13 I realize there was some more that
14 were found, but I'm just -- generally where I'm at in
15 terms of this question is where you were at the end of
16 March.

17 So when you say -- it says here, "The
18 Company initiated a process"; I'm just wondering, was that
19 a different process than the process that had been used in
20 May of 2024 to purge the other -- you know, to generally
21 do the purge that you thought had caught most of these?
22 Is that a different process or were they -- yeah.

23 What was the difference between the

1 two processes?

2 [10:30:45] A. (Williams) Yes, it would have
3 been in -- so it was external or third-party confirmation
4 of the deletions, so that would -- that was -- that, in of
5 itself, was different than what was done in 2024.

6 So 2024 was done internally. This was
7 identifying external parties -- or party or parties that
8 could undertake the work and provide the confirmation that
9 it had been removed. And it was also a more robust
10 process where it was scanning all systems within the
11 company to ensure that we could make the statement that
12 they had been permanently removed from all systems within
13 the company.

14 Q. Okay. So that was my question.

15 Why -- in 2024, why was the purge --
16 was the purge isolated to the CIS system? Why, at that
17 point, didn't -- wasn't the question asked, okay, where do
18 we have Social Insurance Numbers on all our systems? Why
19 wasn't it done in 2024?

1 A. (Williams) It's a good question,
2 sir.

3 And so at the time, in 2024, the
4 understanding would have been that the Social Insurance
5 Numbers resided within CIS. And as we discussed with the
6 Data Lake, those Social Insurance Numbers were there, but
7 there was a process -- an automated process to remove
8 them. There would not have been an expectation that there
9 would have been Social Insurance Numbers elsewhere.

10 Having now gone through this attack
11 and the restoration process and understanding that there
12 was the potential for unintended -- for Social Insurance
13 Numbers to be in places on our systems in unintended
14 manner, we thought it prudent to search the entirety of
15 our systems as opposed to the CIS where they reside.

16 Q. There was an undertaking
17 yesterday about -- the Chair had asked for the undertaking
18 what the 13 terabytes that was accessed -- what percentage
19 of that -- was that of your total IT network.

1 I'd like another undertaking, and that
2 would be the volume of the data in the July 2021 cut in
3 the Azure staging area. What was the volume of that data
4 in that July 2021 cut? Is that -- in terms of the actual
5 size. Is that something we can -- we can get as an
6 undertaking?

7 A. (Williams) I'm generally getting
8 nods, sir, so I'm going to say yes. And we'll certainly
9 let you know if that's ---

10 Q. Okay.

11 A. (Williams) --- it's not possible.
12 But my understanding is that it is.

13 Q. Thank you.

14 **THE CHAIR:** That will be Undertaking
15 U-13.

16 **UNDERTAKING U-13 - To provide the**
17 **volume of data in the July 2021**
18 **cut in the Azure staging area**

19 **BY VICE CHAIR DEVEAU:**

1 Q. So just -- again, just to the --
2 to the process that we just described of what happened in
3 2018 and then 2024 -- so after the breach in 2025,
4 essentially you purged the remaining Social Insurance
5 Numbers within a year, probably within nine months or
6 something to that degree.

7 I suppose it begs the question, where
8 was the urgency between 2018 and 2024, recognizing that
9 you shouldn't be retaining -- in 2018, you recognized that
10 -- the company recognized that you shouldn't be retaining
11 SIN numbers, so I'm just -- I'm just wondering -- you were
12 able to do in 2025 within nine months. Where was that
13 urgency between 2018 and 2024?

14 A. (Williams) Yes. And again, sir,
15 fair question.

16 I think the ability to do it quicker
17 in 2025 was in part because we'd already gone through the
18 exercise and we already knew what was possible within the
19 CIS.

1 Q. So that's in terms of technical
2 issues?

3 A. (Williams) So the technical
4 issues, the risks that are posed by doing that type of
5 work within the CIS. So we had already completed that
6 work and so didn't need to revisit the discussion of
7 weighing those risks and benefits.

8 Q. Rebuttal N-17. N-17 at pages 60
9 and 61.

10 So this relates to actions that you
11 took to enhance your governance program.

12 So essentially, in those -- in that --
13 in those few paragraphs, you explain the steps taken by
14 Nova Scotia Power to enhance your governance program. You
15 outline the revised role for the Privacy Officer and the
16 reporting structure through the Executive Vice President
17 Finance and Commercial, the Executive Leadership Team and
18 to the Board of Directors as -- bringing it up as a
19 standing agenda item.

1 I could let you review that, but it's
2 pretty straightforward, yeah.

3 So I'm just wondering -- I have a
4 number of questions about that. I'm just wondering, why
5 is that description in the rebuttal? What evidence --
6 what evidence are you trying to rebut there? I wasn't
7 quite sure why it was in the rebuttal and, actually, why
8 the information wasn't provided in the incident report.

9 A. (Williams) No, and it's -- it's
10 maybe more of a process question than anything, sir, I
11 think.

12 So I mean, we've called this rebuttal
13 and I think it was termed "rebuttal" in the process
14 schedule, but it's our first instance to put anything on
15 the record in this proceeding.

16 So the incident report, as you'll
17 recall, was something that was filed in 12273.

18 Q. Right.

19 A. (Williams) So I -- so in

1 fairness, it wasn't put in there just because there wasn't
2 recognition of what the scope or the focus would be. That
3 has obviously evolved with the introduction of 12600 ---

4 Q. Yeah.

5 A. (Williams) --- and the issues
6 list there.

7 Q. Okay. I understand that. That's
8 fair.

9 A. (Williams) So I don't see it
10 necessarily as rebuttal, but it's ---

11 Q. I understand.

12 A. (Williams) --- to (inaudible due
13 to speaking over each other).

14 Q. Understand. Okay.

15 So when were those steps actually --
16 those -- that new reporting structure, when were those
17 steps actually sort of implemented, generally?

18 A. (Williams) You're referring to
19 the first three bullets?

1 Q. Yeah, yeah.

2 A. (Williams) So those are -- those
3 are ongoing, so we will have -- we have -- well, they're
4 current, I suppose.

5 We have a posting. We are currently
6 searching for that Privacy Officer position.

7 That is, again, not to say we don't
8 have and have not had a Privacy Officer. We do have one.
9 But we are looking to fill that position currently, and
10 the exact timing of that will be dependent on the market
11 response.

12 Q. Okay. So at the bottom of page
13 60 there, it talks about the Privacy Officer and the
14 enhanced role, and perhaps -- I'm not sure if it's --
15 yeah, more enhanced and formalized, dedicated full-time
16 position.

17 It says at the bottom -- at the bottom
18 sentence there:

19 The internal reporting structure for the

1 Privacy Officer will be determined based on
2 seniority level of the successful candidate
3 but is anticipated to ultimately report up
4 to the Executive Vice President Finance and
5 Commercial...
6

7 And first of all, just so I -- I
8 understand now that the Privacy Officer at present is not
9 a full-time position; is that correct? That basically the
10 role is assigned to a lawyer on the legal team somewhere
11 in the organization, and it's part of other duties that
12 person provides?

13 A. (Williams) Yes, it's currently
14 the Director of Legal within Nova Scotia Power.

15 Q. Okay. And you say there that:

16 The internal reporting structure for the
17 Privacy Officer will be determined based on
18 seniority level of the successful
19 candidate...
20

21 With all due respect, I find that's an
22 odd statement. I would have thought that if the role is
23 being enhanced, but you're saying that the reporting
24 structure will depend on the seniority of the candidate,
25 so the reports will change depending on that seniority. I

1 | would have thought that the seniority and the duties of
2 | the position itself would inform reporting structure.

3 | [10:40:03] I'm just wondering if you're -- if
4 | these changes are actually empowering the Privacy Officer
5 | with the sufficient authority and responsibility to be
6 | effective in their role, rather than just depending --
7 | putting them in the organization based on where their
8 | seniority is. I would have thought seniority would have
9 | been decided.

10 | A. (Williams) So two parts to that,
11 | I suppose. The mandate and authority of the Privacy
12 | Officer will not differ. That Privacy Officer will report
13 | up through myself, to the Executive Vice President of
14 | Finance, and that mandate will be the same regardless, I
15 | can assure you of that.

16 | The seniority, though, will be
17 | dictated by the market response. And so all this sentence
18 | is indicating is, you know, whether that is a lawyer who
19 | is a 5-year or a 15-year call, where they sit within the

1 reporting structure may differ.

2 And it would not be -- it may be that
3 if we have, and this is a bit of a marketing pitch, if we
4 get a unicorn that has 15 to 20 years of experience as an
5 ex-Privacy Officer at a large company, that's going to
6 change how we establish that structure. And they maybe
7 don't report up through me after if that's the case,
8 right?

9 So it's a -- it's just acknowledging
10 that while the intention to prioritize this, exactly what
11 that reporting structure will be and the governance of it,
12 is going to be dependent on that candidate's experience.

13 Q. Do you have evidence that those
14 type of people are tough to find?

15 A. (Williams) Well, if you go ---

16 Q. Along with engineers and other
17 positions.

18 A. If you -- yeah. If you've gone
19 to market for any legal positions recently ---

1 Q. Legal positions in privacy you
2 mean, or...?

3 A. (Williams) Well, I'm just talking
4 generally.

5 Q. Okay.

6 A. (Williams) It's difficult to find
7 specific skillsets. So -- and by that, I mean, you know,
8 whether it's privacy or anything else. That specific
9 skillset is in demand. I am confident we will find an
10 appropriate Privacy Officer, though.

11 Q. Okay. So there's a recognition
12 that, regardless of the seniority of the position, that
13 the duties that are performed by the Privacy Officer will
14 be given the respect it deserves as to the organization.
15 I mean, that's an obvious question based on what's
16 happened in the last year.

17 A. (Williams) Yes, the question and
18 answers. I don't want it to come across, though, that the
19 Privacy Officer did not have the respect it deserved prior

1 to the incident because it ---

2 Q. Yeah, and I ---

3 A. (Williams) --- it absolutely ---

4 Q. I didn't mean it that way. Just

5 mean ---

6 A. (Williams) No, I ---

7 Q. --- in terms of if you're

8 revamping the reporting structure, it just seemed -- yeah.

9 A. (Williams) Even absent this
10 event, sir, and what we've experienced the last year,
11 there's significant change afoot in the privacy
12 environment within Canada.

13 Q. On page 61, I think it's in the
14 second bullet there, it says:

15 The [Executive VP] Finance and Commercial
16 will brief the [Nova Scotia] Power Board of
17 Directors on privacy related matters as a
18 standing agenda item on a quarterly basis.

19
20 So at the time of the incident, then,
21 did anyone report to the Board of Directors regularly, or
22 otherwise, on privacy matters? Was it a -- an issue that

1 | was brought by way of practice to the Board?

2 | A. (Williams) Yes, sir. So at the
3 | time of the incident, it would have been the EVP of Legal,
4 | Regulatory, and GR, and that reporting would have been
5 | done on an as-needed basis, as are, you know, a number of
6 | different matters.

7 | Q. Okay.

8 | A. (Williams) The intention here is
9 | to point out that the additional action that is being
10 | taken to make this a standing agenda item on the Board's
11 | quarterly meeting agenda ---

12 | Q. Okay. So that's a new ---

13 | A. (Williams) --- on a go-forward
14 | basis.

15 | Q. That's a new practice.

16 | A. (Williams) Making it a standing
17 | item, but the reporting function always existed.

18 | Q. Okay. So now, my questions now
19 | are in relation to compliance. Not the policies

1 | themselves, but compliance with the policies.

2 | So at the time of the incident, what
3 | was process for ensuring compliance with the privacy and
4 | data collection and retention policies? Who made sure
5 | that the policies -- that what the policies said were --
6 | was actually carried out? Again, in terms of compliance.

7 | **A.** (Williams) So depending on the
8 | specific aspect of the policy or procedure, it would
9 | ultimately have been the responsibility of the Privacy
10 | Officer and the -- and management of the company to ensure
11 | that those -- the policy and the procedures that fall
12 | under it are being implemented.

13 | **Q.** Okay. Was there a regular review
14 | of the policies in terms of compliance that are reviewed
15 | by the senior leadership team?

16 | **A.** (Williams) So there was not a
17 | (inaudible due to audio glitch) of that, but there was --
18 | there were ---

19 | **Q.** You said there was not a recent

1 | audit?

2 | A. (Williams) Not, not a recent ---

3 | Q. Yeah. Right.

4 | A. (Williams) --- audit of the
5 | privacy program in totality. Obviously, there is aspects
6 | of it that, and we discussed one earlier, the Data Lake.

7 | But there was -- as I said, the
8 | Privacy Officer would have oversight of certain aspects of
9 | it. There's also the Privacy Committee within Nova Scotia
10 | Power was interested with ensuring that the different
11 | business units were aware of their obligations under the
12 | privacy policy and procedures, as well as the training
13 | that was undertaken by our employees.

14 | You'll see here, one of the bullet
15 | points does refer to the Privacy Committee. And I think
16 | one of the things we've taken from that, that Privacy
17 | Committee was established with members from different
18 | business units at -- effectively, at a manager level,
19 | being the job title.

1 And I think one of things we've taken
2 away from this is -- and on a go-forward basis, is that we
3 need to have that committee staffed with a higher level of
4 responsibility within the company. So now that committee
5 is staffed with Director level and above.

6 And I think the intention there is to
7 ensure, and again this is the cultural discussion, to
8 ensure that we have employees on that committee that are
9 fully capable and have the ability to instill that
10 culture, ensure that culture, and that the policies and
11 procedures that are in place are being adhered within the
12 different business centres.

13 Q. My understanding of corporate
14 governance is that some boards actually have a compliance
15 review on a regular basis. That -- let's say they have 50
16 policies that, you know, let's say 10 policies will be
17 brought -- reported to the board every year, an evaluation
18 done of whether there was compliance with those policies.
19 Was that type of review ever done, to your knowledge, by

1 | the Board of Directors on the cycle?

2 | A. (Williams) Just referring with
3 | Ms. MacDonald, and neither of us are aware of that, that
4 | what you're describing there, but I think it's the other
5 | bullet point here, which refers to Optro. And it's the
6 | second from the bottom of the penultimate bullet point on
7 | 61. So that is a compliance program within Nova Scotia
8 | Power that's -- it's a manner in which we track compliance
9 | with certain obligations, whether they be legal
10 | obligations or internal.

11 | Q. And sorry, that's the second ---

12 | A. (Williams) The second bullet from
13 | the bottom on page 61, sir.

14 | Q. Okay, "In the interim" -- okay.
15 | "In the interim," but that's a newly implemented
16 | compliance tool; correct?

17 | A. (Williams) It's a new program;
18 | it's not a new compliance tool. That would be in brackets
19 | in the second line, beginning on line 23, "formerly known

1 as AuditBoard". So AuditBoard would have been in place at
2 the time of the ---

3 Q. Of the incident?

4 A. (Williams) Yes. So just to be
5 clear, the function existed, just the program and the name
6 of it has changed.

7 [10:50:16] Q. Okay. I may come back to that.

8 So in terms of the Board -- I can
9 bring it to you; it's discussed in NSPI's management
10 information circular. The management information circular
11 notes that Nova Scotia Power does not have the -- the
12 Board does not have an Audit Committee and there are no
13 other standing committees that would review compliance
14 with these policies. Is that right, in terms of the Board
15 of Directors?

16 A. (Williams) That's right. The
17 Board does -- the Nova Scotia Power Board does not have
18 subcommittees.

19 Q. Does not have an Audit Committee?

1 A. (Williams) Yes, it does not have
2 any subcommittees.

3 Q. Right.

4 A. (Williams) Correct.

5 Q. Okay. And I'm sorry, in relation
6 to the executive leadership team, was there a regular
7 review of compliance with the policies? Again, compliance
8 versus looking at the policies themselves and whether they
9 have to be revised? I'm talking about compliance and what
10 was said in the policies was actually being done. In
11 addition to Optro, was there actually an issue that came
12 to the executive leadership team and then further up to
13 the Board of Directors about compliance?

14 A. (Williams) Sorry, sir, would you
15 mind just repeating the question again?

16 Q. Was there a regular review by the
17 executive leadership team to track compliance with the
18 policies? So what I'm essentially going to ask is was it
19 documented in terms of a schedule or listing of when these

1 compliance reviews about the policies would have happened
2 and when -- whether that was documented?

3 A. (Williams) Not to my knowledge,
4 sir, no.

5 Q. And then nothing would have been
6 provided to the Board of Directors either from the
7 executive leadership team?

8 A. (Williams) Again, not that I'm
9 aware of. The reporting structure existed that if there
10 were anything to report, it could have and would have
11 been, but I'm not aware of it.

12 Q. Okay. So the results from Optro,
13 who monitored those results? The internal compliance
14 team, who's that? Is that that Audit Committee or Cyber
15 Committee?

16 A. (Williams) So there's a Manager
17 of Compliance within the legal group, within Nova Scotia
18 Power, and they would administer the program. It is a
19 function that's signed off by the relevant leader within

1 | the business area. So again, this is not just -- as
2 | you'll see here, it's not just in relation to something
3 | like privacy. It's any and all compliance obligations
4 | that the company may have.

5 | Q. CRA deductions and that sort of
6 | thing?

7 | A. (Williams) So yes, sir, I can say
8 | it goes so far as to list any and all obligations that we
9 | have under the QA that I sign off on. So when I say any
10 | legal or internal obligation, it includes it.

11 | Q. Yeah. So I had read that Optro
12 | as being an interim measure. So in terms of the former
13 | name, the AuditBoard, you've had that for seven, eight
14 | years, let's say?

15 | A. (Williams) That's correct.

16 | Q. Okay. And that's reviewed by the
17 | internal compliance team, or there's a report that's
18 | published?

19 | A. (Williams) It's all automated, so

1 | there's not necessarily a ---

2 | Q. So there's a screen that says ---

3 | A. (Williams) That's right.

4 | Q. And the privacy policies are part
5 | of that screen? They're part of that?

6 | A. (Williams) It would be in terms
7 | of whether they are confirming that the privacy policies
8 | are in compliance with whatever the development
9 | regulations or requirements are. In the interim language
10 | here is maybe a bit misleading in that it's in reference
11 | to the above paragraph or policies and procedures that ---

12 | Q. Okay. So it talked about the
13 | policies but not compliance with the policies in terms of
14 | the policies are being implemented as they're supposed to?

15 | A. (Williams) I can't confirm
16 | exactly what the wording is as I sit here, sir.

17 | Q. Okay.

18 | A. (Williams) But in effect, that is
19 | the audit -- that is the regular audit function within the

1 business, and in the interim is not that this is an
2 interim measure; it's that it's anticipated that those
3 policies and procedures will be updated as they relate to
4 privacy, and that in the interim, the existing ones are
5 being used.

6 Q. Okay. Thank you. I know we have
7 to break, so I'll ---

8 THE CHAIR: Yeah, a bit of an extended
9 break this morning. I apologize for that. So we'll come
10 back at 11:30.

11 --- Upon recessing at 10:55 a.m.

12 --- Upon resuming at 11:30 a.m.

13 VICE CHAIR DEVEAU: Okay, I think
14 we're reconvened.

15 GLEN MacLEOD, Resumed:

16 CHRIS LANTEIGNE, Resumed:

17 LIA MACDONALD, Resumed:

18 BLAKE WILLIAMS, Resumed:

19 VICE CHAIR DEVEAU: I'm just going to

1 ask Mr. Norwood to bring up -- it's the Retention
2 Disposition Schedule; it's N-17(i), Attachment 2. Just a
3 short question, just bring it up a little bit until we see
4 all the audit. There's a second column. Yeah, right
5 there. Yeah. Just expand it a bit. The second column
6 where it says, "Audit," just make those a bit bigger.

7 In the second column "Audit" there,
8 just bring that up. There's five of those columns --
9 there's five of those rows, I mean. Just bring the
10 document up a bit. Right there. Sorry; one more. Right
11 there, yeah, perfect.

12 **QUESTIONS FROM VICE CHAIR DEVEAU, (Cont'd)**

13 Q. It's just a minor question, but
14 you'll see in the -- sorry; the row, "Audit, 001, internal
15 audit document," there are -- it says, "Records in
16 administering compliance with internal policies and
17 procedures" and it goes on. And then a couple of rows
18 later, it says, "Audit 006". It says, "Internal Audit
19 Document 6" and it has the same description in Column B.

1 So I'm just wondering, what's the
2 difference between "Internal Audit Document" and "Internal
3 Document Set"; what does that mean?

4 **A.** (Williams) Just give me one
5 moment.

6 **Q.** Yeah, yeah.

7 **A.** (Williams) I think, Mr. Deveau,
8 I'm happy to get an answer for you, but I'd have to take
9 an undertaking just to confirm.

10 **Q.** It's probably very minor; I just
11 want to know the references.

12 **A.** (Williams) I would expect it's
13 an administrative difference.

14 **Q.** Yeah, okay.

15 **VICE CHAIR DEVEAU:** An undertaking,
16 please?

17 **THE CHAIR:** Okay, that will be
18 undertaking U-4 -- sorry; U-14.

19 **UNDERTAKING U-14 - Re: Exhibit**

1 N-17(i), Attachment 2, Retention
2 Disposition Schedule, to advise
3 what the difference is between
4 "Internal Audit Document" and
5 "Internal Audit Document Set"

6 BY VICE CHAIR DEVEAU:

7 Q. Yeah. So just for the
8 transcript, it's the Retention Disposition Schedule,
9 Exhibit N-17(i), Attachment 2, just to know the
10 distinction between the two rows, "Internal Audit
11 Document" and "Internal Audit Document Set." Just what
12 the distinction is.

13 Okay. Getting back to that -- getting
14 back to the discussion we had yesterday where you answered
15 questions about transferring the data from the CIS system,
16 to the staging area, to the MyEnergy Insights, let's go to
17 the incident report which is, I think, I(10).

18 VICE CHAIR DEVEAU: Sorry; I think
19 I've got the wrong number there actually. The incident

1 | report should be N-16, sorry. And I'm sorry, I didn't get
2 | a page.

3 | Sorry; can you search in there Rob,
4 | can you do a quick search for me, just search for the word
5 | "Encrypted," e-n-c-r-y-p-t-e-d. Sorry about that. That's
6 | the one. Okay. So it's at line 8. What's the page
7 | number on the bottom there?

8 | MR. NORWOOD: Forty-four (44) of 46.

9 | BY VICE CHAIR DEVEAU:

10 | Q. Okay, 44 of 46. So right there
11 | it says -- so this talks about in 2021 when you initiated
12 | the MyEnergy Insights Program.

13 | And in the fourth line it says:

14 | Within this staging area, certain daily
15 | exports from July 2021 were targeted by the
16 | threat actor for exfiltration.

17 |
18 | And then you say:

19 | It is important to note that all data within
20 | the Azure environment was (and [still is])
21 | encrypted at rest with only approved users
22 | having authorized access to that
23 | environment.

1
2 And I'm sorry, I'm missing the point
3 that's being made here. Why is it important to note that?
4 What's the point being made there?

5 A. (Williams) Yeah, no, it's a good
6 question, sir. The point I think that's being made is to
7 just make sure it's clear that this data wasn't just
8 sitting there. And so when we talk about policies,
9 procedures, and protections that are in place, ---

10 Q. Oh, I see.

11 A. (Williams) --- it's also the
12 cybersecurity protections that are in place. So it was
13 encrypted within that setting. It wasn't just sitting
14 within the Data Lake. So the Data Lake itself is secure,
15 but in addition to that encrypted within the Data Lake.

16 Q. Okay. Because it was still
17 accessed but it was unauthorized, it was through the
18 breach that it was accessed?

19 A. (Williams) That's right. And at
20 rest just refers to the fact that it is sitting there and

1 not in transition between two systems that were the
2 function of (inaudible due to speaking over each other).

3 Q. Okay. I understand, thank you.

4 My next question is, so the company
5 realized in 2018 that it -- or it decided that it would
6 not be collecting Social Insurance Numbers anymore. So I
7 guess from a risk standpoint, why would the company risk
8 further exposure of this personal information by expanding
9 its storage and access to two other systems, the Azure
10 system and the MyEnergy Insights Platform? Why would the
11 company launch a new system like MyEnergy Insights if it
12 did not have access to a clean, for lack of a better word,
13 database that didn't contain inappropriate personal
14 information?

15 (SHORT PAUSE)

16 MR. WILLIAMS: So I would say, sir,
17 that is, in part, the purpose of the Data Lake, is to take
18 data and cleanse it or purge it so it can move on to a
19 purpose where the more narrowly scoped data is needed.

1 So it would have been understood that,
2 from MyEnergy Insights, the data that was within CIS is
3 not all required, but that would have been the point of
4 moving it into the Data Lake and having the staging area,
5 the production area and then on to MyEnergy Insights,
6 so...

7 **BY VICE CHAIR DEVEAU:**

8 [11:39:56] **Q.** So once it's in the staging area,
9 you only need -- if you only need certain part of that
10 data to be used in MyEnergy, you might not need the, say,
11 driver's licence if it's on there or an email address or
12 ---

13 **A.** (Williams) That's right.

14 And so that's why when I referred
15 earlier to the 14 and 90-day ---

16 **Q.** Right.

17 **A.** (Williams) --- construction
18 timelines within there, the 14-day timeline would apply to
19 data that had already been scrubbed or manipulated, so it

1 | would move on and the assumption would be you've dealt
2 | within the 14 days.

3 | Q. Okay.

4 | A. (Williams) Any data that hasn't
5 | been touched would remain for 90 days with the assumption
6 | that we may still need it, we just haven't gotten to it
7 | yet. But after 90 days, it doesn't matter, you lose
8 | access to it. So ---

9 | Q. So when the data's in the Data
10 | Lake, it can be manipulated more easily, and you take the
11 | information you need.

12 | A. (Williams) That's right. It's a
13 | -- a work table.

14 | Q. Yeah, yeah. Yeah.

15 | And then you -- but then again, you
16 | are -- it's in your CIS system and you are exposing it to
17 | a risk. You know, it's another avenue that unauthorized
18 | access could gain -- an unauthorized user could gain
19 | access to it. It's -- it just feels like you're -- once

1 | you're expanding it to other platforms or -- well, the SIN
2 | numbers probably wouldn't make it to MyEnergy, but when
3 | you're copying it from the CIS system to the Azure system,
4 | it's just another place where another unauthorized user
5 | could gain access.

6 | I'm just wondering, why take that
7 | risk?

8 | A. (Williams) So I think generally
9 | agree -- I would agree with you, sir, that -- the premise
10 | of the question. And again, this is not necessarily my
11 | area of expertise, but my understanding would be that it
12 | would be a general practice to take a dataset and then
13 | manipulate it, take what you need, and that's why the Data
14 | Lake was structured as it was. That's why Data Lakes are
15 | structured as they are, with the different phases and the
16 | retention periods that vary because it's understood that
17 | you're going to leave data elements behind. But I
18 | understand -- I certainly understand your point.

19 | Q. And you were -- essentially, you

1 | were -- the staff was relying on the fact that there were
2 | automated destruction tools in place that -- that would
3 | get rid of that.

4 | A. (Williams) Yes, and you were
5 | doing it in a protected environment ---

6 | Q. Right.

7 | A. (Williams) --- as well, a secure,
8 | protected environment.

9 | Yes, that would have been the premise.

10 | Q. Yeah. And the Azure system is
11 | more -- yeah. Well, the comparison you made yesterday to
12 | the CIS system being a VCR, I took that personally because
13 | I do still own a VCR just in case, just for my favourite
14 | movies from the past, from the sixties and seventies.

15 | A. (Williams) I'm sure my kids took
16 | it personally as well.

17 | Q. But once it's in Azure, it's more
18 | easily manipulated by a cyber actor because the tools --
19 | the tools will work more readily in the Azure environment

1 | than it would in a vintage system.

2 | A. (Williams) Now we are far removed
3 | from my ---

4 | Q. Okay, that's fine.

5 | A. (Williams) --- area of comfort,
6 | sir. Yes.

7 | Q. Okay. Just a little question on
8 | training.

9 | Training of your employees, one of the
10 | reasons to provide training to staff is ensure they are
11 | diligent about the cyber risks; correct?

12 | A. (Williams) Yes, absolutely.

13 | Q. Yeah. And cyber incidents like
14 | the one that occurred in this instance can represent a
15 | significant financial risk for the company. You'll
16 | acknowledge that.

17 | A. (Williams) They have not just
18 | presented a risk, but they have made it a reality.

19 | Q. Yeah. Correct.

1 So that was recognized in your
2 financial statements, and Ms. Rudderham identified them
3 yesterday. I was going to as well, but a different
4 document.

5 **VICE CHAIR DEVEAU:** Rob, the email I
6 sent you, could you pull out the one that's called the --
7 the one that's got highlighted on it. It's in Matter --
8 it's the 2025 Nova Scotia Power Annual Financial
9 Statements, and it's Matter M12835, Exhibit N-2,
10 Attachment 3. And it's the 2025 Management Discussion and
11 Analysis.

12 And cybersecurity risk is identified
13 in the document. Let's go to page -- it's PDF page --
14 sorry; page 21 of 30. It's -- yeah.

15 **BY VICE CHAIR DEVEAU:**

16 **Q.** So -- and just to show you the
17 section on cybersecurity, it starts there and then goes to
18 the next page.

19 **VICE CHAIR DEVEAU:** Rob, just show

1 | them the entirety of the -- of that section.

2 | Yeah. So it goes -- yeah. So it's
3 | four paragraphs total.

4 | So let's go back to the first
5 | paragraph, and I'll just let you read that paragraph.

6 | **(SHORT PAUSE)**

7 | **BY VICE CHAIR DEVEAU:**

8 | **Q.** So my question, it's about that
9 | highlighted sentence. So this was the 2025. This is the
10 | current, the ones that were just released.

11 | I have it available, which I can pull
12 | up if you wish, and I have a redline as well. But the
13 | sentence that's highlighted there where it says:

14 | The Company increasingly relies on IT
15 | systems, networks and cloud infrastructure
16 | and third party providers to effectively
17 | manage and safely operate its assets...

18 | Last year's version of this same
19 | section, practically all the wording is identical.

20 | But the 2024 version, which would have
21 | been before the breach, it says -- where it says the
22 |

1 company increasingly relies on these various things, when
2 it gets to third-party service providers to effectively
3 manage and safely operate its assets, it -- last year's
4 version included the word, "And the diligence of its team
5 members" to effectively manage and safely operate its
6 assets.

7 I'm just wondering, why would the
8 reference to the diligence of its team members be removed
9 from that sentence? Because I would have thought that is
10 one of the elements that you rely on to manage and safely
11 operate the assets.

12 A. (MacDonald) Thank you, Mr.
13 Deveau.

14 I mean, I think the emphasis is
15 shifting to reliance on expertise of third-party vendors
16 in general, in particular in the areas noted here. That's
17 not to say that we don't still implicitly rely on the
18 expertise and diligence of our team members throughout the
19 company, but the emphasis here is indicative of the shift

1 as we've described in other parts of this matter and the
2 related matters, the shift towards vendor cloud-based
3 expert service provision beyond what our internal teams
4 would have been more focused on in the past.

5 Q. Okay. Will you agree -- it's not
6 an insignificant deletion, though. Would you agree?

7 A. (MacDonald) I can't speak exactly
8 to what was considered when this sentence was being
9 worded.

10 Q. Pardon me?

11 A. (MacDonald) I can't speak exactly
12 to what was being considered when the sentence was worded
13 or reworded the first time or this time here.

14 Q. Okay.

15 A. (MacDonald) I take your point,
16 but I wouldn't want to leave any overemphasis on this edit
17 on the record here.

18 Q. Okay. I don't see it added --
19 well, it wasn't added, and I don't see any other reference

1 to it in the rest of these four paragraphs, but -- so
2 just, I -- from the redline, it just sticks out, and
3 that's the only change in that first paragraph, I believe.

4 **A.** (Williams) Thank you, Mr. Deveau.
5 Just to reiterate what Ms. MacDonald was saying, it is
6 just -- like, it's really just signifying more of a shift
7 from having a bit of a balance with cloud and service
8 providers with also Nova Scotia Power personnel as opposed
9 to more of an nexus on cloud and service providers and
10 less on Nova Scotia Power personnel.

11 **Q.** Okay.

12 **A.** (Williams) But to Ms. MacDonald's
13 point, always relying on the diligence of our employees.

14 **Q.** Okay. And then in the fourth --
15 I think it's the fourth paragraph, the first paragraph at
16 the top of the next page, I'll let you read that
17 paragraph, and I'll just -- that highlighted section is a
18 brand new -- was introduced to last year's version.

19 **A.** (Williams) Yes, sir.

1 [11:50:29] Q. So obviously it's the paragraph
2 at the top of page 22 of 30 there, and it's the reference
3 highlighted -- it's a reference to the Company maintaining
4 cyber insurance coverage and the fact that subject to
5 aggregate limits and depending on the scope and scale of
6 impacts to the Company, they're more likely to be
7 exhausted as a result of a sophisticated single
8 cyberattack or if multiple events occur and that there was
9 no guarantee that the Company will be able to renew such
10 coverage on acceptable terms.

11 So is that a recognition of what
12 happened in this particular case of why that language
13 would have been added?

14 A. (Williams) Yes, sir. Without
15 getting into the confidential nature of the attachment we
16 referred to before ---

17 Q. Yes.

18 A. (Williams) --- which is CA IR-6,
19 yes, this would be recognition of the experience we've had

1 over the last year and a half.

2 Q. Okay. And this is public
3 information that's just ---

4 A. (Williams) Yeah.

5 Q. It's one of the many --
6 cybersecurity risk is one of the many risks that I suppose
7 all the nervous accountants want to put in the financial
8 statements of what risk can impact the company, and this
9 is but one of them?

10 A. (Williams) Yeah, absolutely.

11 Q. Yeah. Okay. Let's get back to
12 the policies. We talked about compliance. Now I want to
13 talk about the policies themselves, and these policies --
14 the various policies were provided in Board IR-9 and in
15 another locations as well, but they were provided in Board
16 IR-9. We'll get to that. And they were filed
17 confidentially, except for Nova Scotia Power's Customer
18 Privacy Policy.

19 **VICE CHAIR DEVEAU:** So let's go to the

1 list there. It's -- Rob, it's Board IR-9, Exhibit N-10,
2 and it's PDF page 28. So those are the documents that
3 were provided the various policies, procedures and
4 guidelines. There's 13 of them there. The last -- the
5 thirteenth one is the only one that's non-confidential.
6 It's NSPI's Customer Privacy Policy.

7 Can you bring up the next paragraph
8 there? Can you show that in its entirety? Right there.

9 **BY VICE CHAIR DEVEAU:**

10 Q. So it says:

11 To its knowledge, and based on reasonable
12 inquiry, NS Power collected the personal
13 information of its current and former
14 customers in compliance with all applicable
15 privacy legislation, including PIPEDA, and
16 all other applicable law. Information about
17 customers (both former and current) is
18 collected in accordance with NS Power's
19 public customer Privacy Policy...

20
21 So my question is, is it the Company's
22 view -- I just want to confirm that the retention of the
23 Social Insurance Numbers up to the time of the incident
24 was in compliance with its legal requirements and

1 | policies?

2 | **A.** (Williams) Yes, sir. I think
3 | that goes to the -- I think I had the discussion with Mr.
4 | Mahody and perhaps others on the record where what is
5 | reasonable or necessary in the circumstances must be a
6 | contextual discussion or analysis. And when you're
7 | dealing with a CIS system, it is just that; it was not
8 | possible to delete those. So that would be the relevant
9 | caveat, I think. When you're reading the policies on
10 | their face, I understand where you're going with it, but
11 | when you understand it or discuss it in the relevant
12 | context, it becomes apparent that there can't be an
13 | expectation that you're doing something that is not
14 | possible to do.

15 | **Q.** And when you talk about the legal
16 | requirements, you're talking about -- and the context; you
17 | mentioned the context -- that's based on the legislation
18 | that falls under the Office of the Privacy Commissioner,
19 | the federal office? That's what you mean, that

1 | legislation? The context is from that legislation?

2 | A. (Williams) That's under PIPEDA.

3 | Q. Yeah, okay. At the very start of
4 | that paragraph, it says, "To its knowledge, and based on
5 | reasonable inquiry," and I'm not sure -- what did you mean
6 | -- what was meant with the words "and based on reasonable
7 | inquiry"? What did that mean? Because what you're saying
8 | is based on its knowledge and reasonable inquiry, NS Power
9 | collected this information from customers in compliance
10 | with the applicable privacy legislation. So what's this
11 | reasonable inquiry?

12 | A. (Williams) It may be an
13 | unnecessary qualifier, sir. I think it's just really
14 | signifying that when you're making absolute statements
15 | about vast amounts of information in general, yes,
16 | everything was collected. Was every single -- could there
17 | be one instance over the last 30 years where something was
18 | collected that wasn't necessary? That's possible. But
19 | like I said, it's probably an unnecessary qualifier, but

1 | the statement stands and would stand without it as well.

2 | Q. Okay. One way I read it was that
3 | -- was it based on reasonable inquiry of customers, and
4 | they provided -- because you mention at the end of the
5 | paragraph that the matter is collected -- the information
6 | is collected in accordance with the Privacy Policy. I was
7 | just -- you mention elsewhere in the rebuttal that
8 | customers are aware of the policy; it's available -- the
9 | Privacy Policy is a public document that's available on
10 | your website. I was just -- I got the impression that
11 | perhaps you were putting the onus on customers that
12 | because there was a reasonable inquiry or they set up an
13 | account and that the Social Insurance Number was provided
14 | on that basis, that that somehow legitimized the retention
15 | of the SINS. That's not what you meant? Basically, in
16 | totality, your practice is to follow the legal
17 | requirements. That's what you're saying?

18 | A. (Williams) You summarized my view
19 | and our intention, yes.

1 Q. So going back to the list at the
2 top of the page...

3 **VICE CHAIR DEVEAU:** And I'm sorry, can
4 we go back to the question, Rob? Right there. I think
5 it's the last -- I think it's (e), if I'm not mistaken.
6 Yeah, just go down a bit. Okay, right there, page 1 there
7 of 4.

8 A copy of the key policies, standards and
9 guidelines under this framework at the time
10 of the Incident have been provided as listed
11 in the table below.

12
13 So let's go back to the list.

14 **BY VICE CHAIR DEVEAU:**

15 Q. Have any of these policies been
16 revised since the incident?

17 A. (Williams) Yes, sir, they're in
18 the process, and I think we speak to that in the rebuttal.
19 So we've had all of these -- the policy and the procedures
20 have been reviewed by Gartner as an external consultant.

21 Q. Right.

22 A. (Williams) And then those -- the

1 result of that review had been included in the third-party
2 review that's being undertaken, or the audit that's been
3 undertaken through the OPC process.

4 Q. Right. But have they been
5 adopted by the Company yet?

6 A. (Williams) They have not yet
7 because we're waiting for the outcome of that process.

8 Q. Okay.

9 A. (Williams) So rather than roll
10 out those policies and procedures now, and then again once
11 we get the feedback from LevelBlue, the decision was made
12 to roll it out once.

13 Q. Okay. Before the incident,
14 before -- yeah, before the incident, how often were the --
15 these policies reviewed? Was there a set review every
16 number of years, or...?

17 A. (Williams) These policies and
18 procedures, I believe our version dated as -- they're
19 confidential, but I'm comfortable saying that I believe is

1 2020, that the date on their last reviewer. They would
2 not have been reviewed in the interim between 2020 and
3 now, just because there would not have been a general
4 reason to. They would have been set ---

5 [12:00:03] Q. Yeah.

6 A. (Williams) --- based on the
7 existing legislation that had not changed or evolved.

8 Q. Right.

9 A. (Williams) But now we're in a
10 position, as we talked about ---

11 Q. There -- there's new legislation
12 ---

13 A. (Williams) --- there's new
14 federal legislation.

15 And I think in addition to that, the
16 other factor that is significant is the adoption of AI and
17 how that can influence the sphere. So recognizing the
18 proliferation of AI and those types of technology, like
19 that, even absent the federal legislation, would have

1 justified reviewing these.

2 Q. Right. But it's your view that
3 these policies at the time of the incident did comply with
4 the applicable privacy legislation.

5 A. (Williams) Absolutely, sir. I
6 believe that's consistent with Ms. Ralph's evidence as
7 well ---

8 Q. Yes. Yeah, yeah.

9 A. (Williams) --- (inaudible due to
10 speaking over each other).

11 Q. Okay. Now, actually what you
12 volunteered I was going to ask you as the next question.
13 I realize it's confidential, but I was going to ask you if
14 I can ask about the last update indicated for these
15 policies.

16 So you mentioned 2020. I think
17 generally they were 2019 to 2021, and there was one in
18 2025. Does that sound correct?

19 A. (Williams) Yeah.

1 Q. Okay.

2 A. (Williams) So I certainly take
3 you -- take your word for that, sir.

4 Q. Yeah. Okay.

5 I'll take you to the rebuttal, N-17,
6 page 10 and 11. And I think it's the same sentence that
7 Mr. Melanson took you to this morning; it's similar. It
8 is line 25. It may not be the same passage, but it's
9 essentially the same issue, same sentence:

10 At the time of the Attack NS Power had a
11 common set of cybersecurity standards and
12 policies that are informed, in part, by
13 the...(NIST) Cybersecurity Framework in
14 place. Furthermore, the [Board] regularly
15 reviews and makes continuous improvements to
16 its cybersecurity programs to ensure it was
17 and continues to be in line...

18
19 We'll just go to the next paragraph:
20 ...with the latest guidance.

21
22 It says:

23 In connection with these efforts, [Nova
24 Scotia] Power has recently completed an
25 extensive two-year update to its...practices
26 to comply with current policies and
27 anticipated changes in standards communicated

1 by NIST.

2

3

My question was a different question.

4

As a result of this two-year update, there were changes to

5

practices, but the policies that we've talked about just

6

now, the 13 policies, those policies were not changed;

7

correct, as a result of this two-year review -- two-year

8

update?

9

A. (Williams) Yeah. They would not

10

have been, and important to realize. So the review we're

11

referring to here on page 10 and 11 relates to

12

cybersecurity standards and policies, not ---

13

Q. Right.

14

A. (Williams) --- privacy ---

15

Q. Not necessarily privacy?

16

A. Not necessarily ---

17

Q. Okay.

18

A. Not necessarily, not at all

19

privacy policies ---

20

Q. Okay.

1 A. (Williams) --- and procedures.

2 Q. Okay.

3 **VICE CHAIR DEVEAU:** So let's go back
4 to that list of policies, Rob.

5 **MR. NORWOOD:** (Inaudible due to away
6 from microphone.)

7 **VICE CHAIR DEVEAU:** Sorry. It was --
8 it was the -- right there, yeah. It was Board IR-9,
9 Exhibit N-10.

10 **BY VICE CHAIR DEVEAU:**

11 Q. Those 13 policies, 13 of them are
12 marked -- sorry. Yes. Nine of them are marked as being
13 NSPI policies, and the other four, there's no indication
14 of who the policies belong to. It's -- these are
15 confidential.

16 Can I ask who the other -- what the
17 other four policies belong -- who they belong to?

18 A. (Williams) Yes, sir. They all
19 belong to NSP.

1 Q. To who?

2 A. (Williams) They're all Nova
3 Scotia Power policies. They're just -- awkward way of
4 labelling them, perhaps.

5 Q. Okay. I actually read a few of
6 those policies not being a Nova Scotia Power policy, they
7 were Emera policies.

8 A. (Williams) They are policies that
9 would have been jointly developed with Emera and other of
10 its affiliates, but they would be developed specific to
11 Nova Scotia Power. So ---

12 Q. They would have been non-
13 specific.

14 A. (Williams) Specific. Specific
15 ---

16 Q. Specific to Nova Scotia Power?

17 A. (Williams) Yes. I mean -- so as
18 an example, Emera, as a company, would not have the same
19 privacy requirements as ---

1 Q. Correct.

2 A. (Williams) --- Nova Scotia Power.

3 Q. Yeah.

4 A. (Williams) So these are -- while
5 they are on some of the headers, at least without going
6 through them all, they're -- there's an Emera logo. They
7 are Nova Scotia Power policies, and they refer to the
8 Emera company, meaning the affiliate company, ---

9 Q. Yeah.

10 A. (Williams) --- Nova Scotia Power.

11 Q. And just to that point. Nova
12 Scotia Power and TECO, for example, first of all -- well,
13 first of all, they operate in two different -- entirely
14 different jurisdictions, but they would have different
15 privacy needs in terms of the amount of personal
16 information than NSPML would or Emera Energy in terms of
17 privacy, personal information?

18 A. (Williams) Yes. And to the
19 extent that (inaudible due to speaking over each other)

1 | would even apply to ---

2 | Q. Right.

3 | A. (Williams) --- certain of those

4 | ---

5 | Q. Right.

6 | A. (Williams) --- (inaudible due to
7 | mumbling), yes.

8 | Q. Okay. So even though they're
9 | confidential, can we identify the two that I have that are
10 | Emera?

11 | A. (Williams) Yeah, I'm happy to
12 | have kind of high-level discussions ---

13 | Q. Okay.

14 | A. (Williams) --- that will
15 | ultimately be helpful, yeah.

16 | Q. Okay.

17 | A. (Williams) Yeah.

18 | Q. Have the discussion in a
19 | confidential session?

1 A. (Williams) No. I mean ---

2 Q. Oh.

3 A. (Williams) --- they're

4 confidential so that ---

5 Q. The contents, not ---

6 A. (Williams) Yeah.

7 Q. --- the description.

8 A. (Williams) Exactly. So I'm

9 comfortable where we are right now ---

10 Q. Okay. Yeah.

11 A. (Williams) --- in continuing this
12 type of discussion.

13 Q. So I have number -- so I have
14 number 2, the Collection of Personal Information
15 Procedures. I'll let you bring that up.

16 A. (Williams) Yes, sir.

17 Q. So it says Emera, but then it
18 does say, "Adopted by all Emera affiliates," so that's how
19 it applies to Nova Scotia Power?

1 A. (Williams) That's right. And as
2 I said, this -- while it has Emera, this would not even
3 apply to Emera because they're not collecting personal ---

4 Q. Right.

5 A. (Williams) --- information.

6 Q. Right. Okay. And then -- and
7 then the other one I had was number 9, Information
8 Management Policy. PDF 90, yeah, number 9.

9 And that one, it actually -- it says,
10 "Adopted by Emera". It says the Emera company, but
11 there's no reference to affiliates or anything, but...

12 A. (Williams) Yeah. So this is a --
13 somewhat of a different format, but the same thing, and I
14 can confirm that this is ---

15 [12:09:50] Q. Same intention?

16 A. (Williams) --- this is Nova
17 Scotia Power's written policy, yes.

18 **VICE CHAIR DEVEAU:** The one that is
19 public, the Customer Privacy Policy -- Rob, that's PDF

1 | page 43.

2 | **BY VICE CHAIR DEVEAU:**

3 | Q. That one, I do not see -- I
4 | didn't see a date on it when it was last updated.

5 | A. (Williams) I'm not aware of a
6 | date on here, sir. And the reason for that is this is not
7 | a document in the same way that the others are. This is
8 | basically a screenshot from our web page.

9 | Q. Okay. So that one would have
10 | been in effect -- well, you mentioned it was in effect in
11 | -- at the time of the breach; it would have been in effect
12 | before that as well? No significant updates for the last
13 | few years?

14 | A. (Williams) That's correct.

15 | Q. Okay. Let's go to rebuttal N-17,
16 | page 18, line 21. Yeah.

17 | So that's -- we've talked about that
18 | information protection audit of Nova Scotia Power's Data
19 | Lake was conducted in December 2024 as part of the

1 company's annual audit program.

2 And I recognize in the previous
3 paragraph, you referred to -- you wanted to make a point
4 of clarification in relation to the response you gave to
5 INQ Law's IR-2 that asked for private audit plan and dates
6 of audits of access to personal data of customers
7 implemented by Nova Scotia Power in the two years leading
8 to the cybersecurity incident.

9 So generally, the response in that IR
10 -- we can bring it up if you wish -- but it was that there
11 were none. But afterwards, you wanted to make this
12 distinction.

13 But the audit -- like when -- on line
14 21 when you talk about the company's annual audit plan,
15 that's -- program, sorry -- the audit program, that's in
16 relation to an audit of access, reviews of access to
17 information on your system.

18 That's not in relation to an audit of
19 the compliance or an audit of the policies themselves;

1 | it's an audit of access to information that is made --
2 | that is made in the organization; correct?

3 | **A.** (Williams) The specific reference
4 | to "Audit program," so audit program is referring to the
5 | company's annual audit program. That's the program that's
6 | established ahead of time on an annual basis as to what
7 | the -- typically what will be audited through that time
8 | period, that year.

9 | **Q.** So not just -- not just privacy
10 | policy.

11 | **A.** (Williams) Not just privacy.

12 | **Q.** It could be anything.

13 | **A.** (Williams) That's audit -- that's
14 | the overall audit program and new audit programs.

15 | **Q.** Is that the financial audit, part
16 | of the -- or no?

17 | **A.** (Williams) It would include any
18 | aspect of the company that the audit function -- it's not
19 | a management decision. It's the audit team's decision as

1 to what that ---

2 Q. Internal audit team, or...?

3 A. (Williams) Yes.

4 Q. Okay. Okay. So that can relate
5 to anything at all in the company, purchasing and ---

6 A. (Williams) So I don't want to --
7 in fairness to that team, I don't want to give the
8 impression that it is randomized.

9 Q. No, no, no.

10 A. (Williams) There's a ---

11 Q. No, I realize that.

12 A. (Williams) Yeah. But yes.

13 Q. So it's not just -- it's not just
14 -- but it's not just access to information -- access to --
15 you know, whether there was unauthorized access. It's
16 audit about ---

17 A. (Williams) There's probably an
18 infinite number of examples we could give.

19 Q. Right. Right. Okay.

1 But as we discussed earlier, there's
2 no formalized review of compliance or the policies
3 themselves on a regular basis, on a regular cycle; it
4 depends on what the internal audit team decides.

5 A. (Williams) Yes, so they may have
6 a specific cycle in mind ---

7 Q. Right.

8 A. (Williams) -- but it's not
9 something that management is involved with intentionally.

10 Q. Who's part of that audit team?
11 Is it a -- like, a financial people or ---

12 A. (Williams) It's a specific audit
13 team. It's an Emera audit team that audits affiliates.

14 Q. Okay.

15 **VICE CHAIR+ DEVEAU:** In the customer
16 policy -- let's go back to that customer privacy policy,
17 Rob, PDF page 45 of that. It's the IR.

18 Yeah, PDF 45.

19 **BY VICE CHAIR DEVEAU:**

1 Q. So this is a public Customer
2 Privacy Policy. And it's -- it's under "Correcting and
3 retaining information" at the end.

4 It says, in the second paragraph under
5 that heading:

6 The length of time we keep your information
7 varies depending on the product or service
8 in question and the nature of the
9 information. We have retention standards
10 that allow us to meet customer service,
11 legal and regulatory needs. As a result, it
12 may be necessary for us to keep some of your
13 information on record even after the end of
14 your relationship with us. When the
15 information is no longer required, it is
16 destroyed or anonymized.

17
18 So I guess my question is simply when
19 the incident happened at the time of the breach, your
20 statement there was not correct, right? It was -- the
21 information when no longer required had not been destroyed
22 or anonymized.

23 A. (Williams) Well, I struggle with
24 that word as well, sir.

25 I will say it was accurate as it

1 related to CIS because of the discussion we had previously
2 about what is possible. When we talk about that Data Lake
3 and what resided in the staging area, that data was no
4 longer required there and it had been retained as we
5 discussed yesterday.

6 Q. Okay. We'll move on, as Monty
7 Python used to say, and now on to something completely
8 different.

9 We'll deal with communications.

10 And it's generally in relation to the
11 -- the script we talked about this morning for TransUnion,
12 so it's Exhibit N-10, response to Board IR-14, PDF 60.
13 And it's lines 10 to 15.

14 Yeah. So it says there:

15 Customer care associates were provided with
16 key messages and speaking points. [Second
17 line] This included an extensive Frequently
18 Asked Questions resource that detailed our
19 latest response to the incident, including
20 the customer notification process and the
21 offer for free credit monitoring service.
22 This FAQ Guide was developed with TransUnion
23 to ensure customer interactions were
24 empathetic, accurate and consistent.

1
2 Just my question -- and the question
3 is premised; there are 36 questions there in the
4 Frequently Asked Questions. And I only saw eight of the
5 36 questions that referred to credit monitoring.

6 So in that context, I was wondering
7 why TransUnion was involved in the development of the
8 FAQs, generally.

9 I can see them perhaps being involved
10 in the FAQ section, but I would have thought -- many of
11 those questions related to the breach itself. I would
12 have thought Nova Scotia Power would have been in a much
13 better position to answer those particular questions, and
14 then you could have been, "Empathetic, accurate and
15 consistent."

16 So I'm just wondering why they were
17 developed with TransUnion and not by Nova Scotia Power.

18 A. (Lanteigne) Thank you for the
19 question, Mr. Deveau. I -- just to really clarify. So

1 the questions and the scripts that the TransUnion
2 representatives would have had, TransUnion would have had
3 a hand in helping us with that information, but there
4 would have been other parties, including Nova Scotia
5 Power, that did contribute to the development of that.

6 So TransUnion obviously brings in the
7 expertise in providing the myTrueIdentity service, and
8 also has supported incident responses before, so they
9 would have reviewed the information and provided their
10 input on it, but we would have handled questions
11 specifically to Nova Scotia Power of that development.

12 [12:20:12] Q. Sorry; you would have handled or
13 prepared the answers for the other questions, you mean?

14 A. (Lanteigne) That's right. Like,
15 ---

16 Q. Oh.

17 A. (Lanteigne) --- it would have
18 been -- it wasn't a TransUnion -- the document was not all
19 created by TransUnion, but they did have some input into

1 | it.

2 | Q. Okay. So recognizing their
3 | expertise, for lack of a better word, in terms of the
4 | credit monitoring and the incident response, they would
5 | have helped you on those parts, but the rest of it, it was
6 | Nova Scotia Power.

7 | A. (Lanteigne) Nova Scotia Power,
8 | and advisors that we had ---

9 | Q. Yeah.

10 | A. (Lanteigne) --- secured as well
11 | ---

12 | Q. Yeah.

13 | A. (Lanteigne) --- participated in
14 | that creation, yes.

15 | Q. Okay. Let's go to Question 26,
16 | which is PDF 69.

17 | **VICE CHAIR DEVEAU:** Sorry; the prior
18 | page, Question 26. Yeah, at the bottom. And just put the
19 | very top of the next page. Yeah, right there.

1 BY VICE CHAIR DEVEAU:

2 Q. So the question was, the customer
3 asked, "I want to speak with someone at Nova Scotia
4 Power." And the response from TransUnion...

5 Perhaps before we go there. When were
6 these FAQs generally prepared? So I assume when the --
7 well, when were they generally prepared?

8 A. (Lanteigne) I think they would
9 have first been prepared in advance and at around the same
10 time as the letter in May being issued to customers.

11 Q. Right, okay. So the letter would
12 have been May 10th. So in that timeframe, May 13th, when
13 customers received this, in advance of that letter you
14 would have been ready with these FAQs because you were
15 going to start getting calls. Correct?

16 A. (Lanteigne) That is correct.

17 Q. Okay. And -- so Question 26, it
18 says, "I want to speak with someone at Nova Scotia Power."
19 And it says:

1 Nova Scotia Power takes this matter very
2 seriously. To assist you with any questions
3 you may have regarding this incident, Nova
4 Scotia Power has established this contact
5 centre to address your questions related to
6 this incident.
7

8 And at the top of the next page, part
9 of this question -- and that's the end of it, there's
10 nothing more after that.

11 **VICE CHAIR DEVEAU:** Rob, you can go
12 down a bit.

13 **BY VICE CHAIR DEVEAU:**

14 Q. But it says, "If caller pushes,
15 escalate." So there was no -- there was no offer on
16 TransUnion's part, as part of the script, to say, "We will
17 -- we can escalate it to Nova Scotia Power if you wish."
18 It was TransUnion's decision to escalate.

19 I suppose one of the triggers would
20 have been the customer saying, "I want to talk to Nova
21 Scotia Power. I don't want to talk to you." But it --
22 was there any script -- I didn't see any -- that said,

1 "You can have your matter referred to Nova Scotia Power"?

2 It was just through TransUnion that it was done?

3 A. (Lanteigne) Yeah. So that -- a
4 couple of things. So -- and I believe we talked about
5 this yesterday, but if a customer during this timeframe
6 had called Nova Scotia Power directly, Nova Scotia Power
7 would have been able to assist customers, and our customer
8 service associates did have the Q&A as well.

9 Q. So on that point. So the number
10 on the letter was different than your own customer centre.

11 A. (Lanteigne) That is ---

12 Q. Those remain two distinct. Okay,
13 that's ---

14 A. (Lanteigne) That is correct.

15 Q. Okay.

16 A. (Lanteigne) And the purpose of
17 establishing the centre at TransUnion that had this --
18 these questions that we're looking at was just to ensure
19 that we could have the capacity to support questions that

1 | were coming in, again recognizing TransUnion is a -- is an
2 | expert in this space. So the questions were designed in a
3 | way to help answer questions for customers who had
4 | questions about the incident specifically. So the script
5 | that was provided to TransUnion, and this question in
6 | particular, was really just to, you know, emphasize that
7 | key point, that we do take this matter seriously.

8 | If the customer wanted to talk to us,
9 | they did have two avenues. They could call our customer
10 | care directly, and then the second one was the escalate
11 | that's listed after the question, that just meant that the
12 | customer's request was specifically sent to our team and
13 | we would follow up and call that customer back to talk to
14 | them about their specific concerns.

15 | Q. Right. But TransUnion would have
16 | to have reason to escalate or an impetus to escalate, I
17 | suppose, if some customer said, "I want to talk to Nova
18 | Scotia Power, I don't want to talk to you." Right?

19 | A. (Lanteigne) Yeah. If a customer

1 -- if a customer persisted, and they wanted to talk to an
2 actual Nova Scotia Power employee, that's where it would
3 have come back to us ---

4 Q. Okay.

5 A. (Lanteigne) --- to have the
6 conversation.

7 Q. Okay.

8 **VICE CHAIR DEVEAU:** Thank you. Those
9 are all my questions.

10

11

12

13

14

15

QUESTIONS FROM THE CHAIR

Q. The ground's been pretty much run over by the time it's gotten to me, but -- and I'll try not to be overly duplicative. There's probably a couple of horses I might want to poke just to make sure they're dead, though, so just please bear with me.

THE CHAIR: Mr. Norwood, if we could first turn to Exhibit N-17, page 53 in the PDF, please.

BY THE CHAIR:

Q. Focusing on the paragraph that begins at line 17. So the paragraph states:

More specifically, there were three systems where personal information was retained for longer than the timeframe set out in the retention schedule and which resulted in the exposure of customer information as a result of the Attack.

In terms of the three systems, I just want to make sure I understand what we're talking about. So there's the CIS that you referred to, although you've indicated that that really wasn't involved in the attack,

1 | so that really wasn't a source of personal information.

2 | A. (Williams) Well, it was just --
3 | it was a source in that the information originated there.
4 | But yes, sir, I think you've -- you understand it.

5 | Q. Okay. And then the copy that was
6 | in the Data Lake was the second source. Was that the only
7 | source of personal information that was accessible in the
8 | Data Lake?

9 | A. (Williams) That's my
10 | understanding, is that that information or that data in
11 | the staging area, for the reasons that we've discussed
12 | previously.

13 | Q. Okay. But in terms of the
14 | potential access to personal information, that was the
15 | only, I'll call it a file. I appreciate it's probably
16 | more complex than that, but that was the only file that
17 | was able to be accessed that had personal information on
18 | it in the Data Lake?

19 | A. (Williams) Mr. MacLeod is just

1 | noting that to the extent there may have been anything in
2 | there that hadn't already hit the 14- or 90-day retention.
3 | But I -- for the purposes of this discussion, I -- yes,
4 | your understanding is correct.

5 | Q. Okay. And the third source, as I
6 | understand it, was a Network Attached Storage device?

7 | A. (Williams) Yes.

8 | Q. And so to the extent that
9 | personal information was impacted, I think is the word
10 | you've been using, it's really either from the Data Lake
11 | copy or the Network Attached Storage device?

12 | A. (Williams) That's right, and the
13 | overwhelming majority of that is, obviously, the Data
14 | Lake, as we've been discussing.

15 | Q. Okay. And the paragraph, the way
16 | it's written, it refers specifically to personal
17 | information -- sources the:

18 | ...personal information was retained for
19 | longer than the timeframe set out in the
20 | retention schedule...

1
2 I take it it's the same whether it was
3 longer than the timeframe in the schedule or shorter than
4 the timeframe in the schedule. That's where the source of
5 all personal information that was from, those three
6 sources?

7 A. (Williams) Can you just maybe
8 give that to me one more time.

9 Q. Yeah, I didn't -- I didn't get
10 that out very clearly. But it says there were three
11 systems where personal information was retained for longer
12 than the timeframe set out in the retention schedule.

13 My question is, really, that wasn't
14 intended to limit that statement. The three systems where
15 personal information was available to retain, that's what
16 it was. It wasn't just something about being longer than
17 the timeframe and the retention schedule.

18 [12:30:11] A. (Williams) So I just want to make
19 sure I give you an accurate answer, sir, because -- but I
20 think the answer is yes to your question, but could you

1 | just maybe try it one more time to make sure I have it
2 | right?

3 | Q. Yeah, sorry. Sorry.

4 | A. (Williams) No, it's just as much
5 | me, I'm sure.

6 | Q. Yeah. So I'm just getting -- I'm
7 | just getting tripped up and, unfortunately, I'm tripping
8 | everyone else up over the wording here that just is
9 | focused on personal information retained longer than the
10 | timeframe. And I just want to be clear that that's not
11 | intended to limit that statement in any way.

12 | If I were to take those words out and
13 | say there were three systems where personal information
14 | which resulted in exposure of customer information, it's
15 | the same thing.

16 | A. (Williams) Yes.

17 | Q. Yeah, okay. Thank you.

18 | Sorry about that.

19 | A. (Williams) We got there together,

1 | sir.

2 | Q. Okay. In terms of the data that
3 | was in -- the copy that was in the Data Lake, is it a fair
4 | characterization to say that Nova Scotia Power was not
5 | aware that that copy existed at the time of the
6 | cyberattack?

7 | A. (Williams) Yes, that's a fair
8 | characterization.

9 | Q. Okay. And you sort of explained
10 | the 14 and 90 days -- I was going to ask about. You
11 | responded to the Vice Chair about that.

12 | As I understand it, once the -- once
13 | this data that was intended to be used in the MyEnergy
14 | Insight was used, it should have only been there for 14
15 | more days at the most.

16 | A. (Williams) Yes, that's my
17 | understanding of the delineation between the two. Once
18 | it's been manipulated, it's subject to the 14 days. If it
19 | has never been manipulated, then it's subject to the 90.

1 | Regardless of whether it's used or not, it's gone within
2 | 90 days.

3 | Q. And there's a -- there's a phrase
4 | in N-17 -- and I guess we can pull it up if you need to.
5 | It's actually just on the next page if we want to scroll
6 | down to line 22 there.

7 | Work streams in the Azure Data Lake,
8 | including in the staging area, were
9 | automatically cycled through the age of
10 | information...

11 | The 14 and 90 days you just talked
12 | about.

13 | It goes on to talk about the
14 | "Automatic setting must be manually engaged..." It
15 | doesn't really sound like an automatic setting if it has
16 | to be manually engaged, so if you could kind of tell me
17 | exactly what's going on there, I'd appreciate it.

18 | A. (Williams) So again we're getting
19 | close to the limits of probably my expertise, but -- and I
20 | don't want to leave you the impression that it's pulling a
21 |

1 lever to -- it's not manual in that sense. It's coding it
2 in, so coding the automation in, so manually coding it in
3 would be my understanding, sir, but we are at the cusp of
4 my expertise on this.

5 So there is an automation to it. We
6 do know that that automation was in place and functional
7 and working in all other areas of the Data Lake but for
8 the furthest one.

9 Q. And in terms of -- so it's
10 coding, then. I was envisioning going and making a system
11 setting or checking a box or something. It sounds like
12 it's a little bit more complicated than that. It's fine.
13 It doesn't matter.

14 It required someone to take that
15 physical step of doing that?

16 A. (Williams) Yes, and you've
17 probably exposed the limitations of my knowledge, whether
18 it's coding or -- but there is something that needs to be
19 positively engaged by an individual.

1 Q. And given the sensitivity around
2 cybersecurity and personal information, what are the fail-
3 safes that Nova Scotia Power has to take out or check that
4 opportunity for human error?

5 A. (Williams) Sorry, sir. Could you
6 just give me the question -- I think I generally get it,
7 but can you give me the question again?

8 Q. I'll try to break it down a bit
9 more simply.

10 So someone made a mistake in terms of
11 when they put the data in the system, they didn't set it
12 up appropriately to be automatically removed; correct?

13 A. (Williams) That's our
14 understanding, yes.

15 Q. And so what safeguard do you have
16 to take out the opportunity for a human to make that
17 mistake?

18 A. (Williams) So this -- so I don't
19 know from a cyber perspective what is in place. An

1 | example of a safeguard, though, or a measure is the Data
2 | Lake audit that we've been referring to, and that is on
3 | the record.

4 | As part of that audit, there is an
5 | assessment of whether the appropriate controls were in
6 | place within the Data Lake, and that's one of the reasons
7 | why we know that the appropriate controls were in place
8 | within other aspects of the Data Lake.

9 | **Q.** Can you explain why Nova Scotia
10 | Power remained unaware for three and a half years that
11 | data existed in the staging area?

12 | **A.** (Williams) So I'll ask you to --
13 | just so I'm answering precisely, I'm going to ask you to
14 | give it to me again, sir.

15 | **Q.** Why didn't Nova Scotia Power know
16 | that that data still existed in its system for three and a
17 | half years?

18 | **A.** (Williams) So the reason we
19 | wouldn't have known and the next -- within the next

1 process, they may be able to shed further light on this in
2 terms of the technical aspects of it. But the reason we
3 wouldn't know at this point is because -- because that
4 process was not engaged. The assumption would have been
5 that it was engaged. And the audit function that was
6 performed and assessed, at least in part -- the Data Lake
7 and what functions were performed within the Data Lake,
8 confirmed that the appropriate functions were in place
9 within the Data Lake.

10 Obviously, the scope of that audit did
11 not include this particular workstream and this particular
12 staging area, but it did assess other areas of the Data
13 Lake and confirmed that those processes were in place.

14 So I can confirm for you that we did
15 not know. Precisely why we did not know, it's a failing
16 of those two things.

17 Q. So it's safe to assume that there
18 was no audit or check of what information was in the
19 staging area in three and half years -- at least three and

1 a half years?

2 A. (Williams) Yes, sir. That would
3 be my understanding, that there was not an audit that
4 specific -- the scope of which specifically would have
5 encompassed this aspect of the Data Lake. But as I said,
6 there -- the audit that we do have on the record and that
7 we are aware of, it did encompass other aspects of the
8 Data Lake.

9 Q. So I'm getting the sense, and
10 correct me if I'm wrong, that Nova Scotia Power was
11 relying entirely on the fact that this information had a
12 set period where it was supposed to be deleted, 14, 90
13 days, and there was not much else that was done to verify
14 that.

15 A. (Williams) Well, there was the
16 audit -- the audit function that was in place as well, and
17 it was auditing whether those retention periods were being
18 fulfilled within the Data Lake because, as I said,
19 obviously that scope of that audit did not encompass this

1 specific workstream or storage -- or staging areas.

2 Q. Were there any audits done
3 between 2021 and 2024 other than the one that's disclosed
4 in this proceeding of the Data Lake?

5 A. (Williams) That's the only one
6 that I'm aware of, sir.

7 Q. So moving on to the Network
8 Attached Storage device, my understanding, which is
9 probably less than yours, Mr. Williams, about this is that
10 that, from a user perspective, operates essentially like a
11 shared network drive. People can access it to save files
12 there and depending on their rights, could move and delete
13 and so on, but that's basically something you would see on
14 your laptop in a network drive that different people have
15 access to?

16 [12:40:31] A. (Williams) Yeah, I think that's
17 generally correct. Different drives would have had
18 different degrees of sharing within them, but yes,
19 generally, that's correct.

1 Q. And what personal information was
2 stored in the Network Attached Storage?

3 A. (Williams) So just to be clear,
4 there was nothing -- there was no personal data stored
5 within -- there would have been information included in
6 those drives and one-off information that if someone had
7 been doing a report on something or there would have been
8 a draft response on something, there would be potentially
9 one-off versions, but nothing was stored as you would
10 think of it in CIS or what occurred in Data Lake.

11 THE CHAIR: So, Mr. Norwood, if we
12 could go to page 55, next page, line 2, please?

13 BY THE CHAIR:

14 Q.
15 The NAS was a dedicated storage device that
16 enables multiple users to store and share
17 files from a central location. The NAS
18 contained millions of files supporting
19 various aspects of NS Power's operations and
20 business, including some employee and
21 customer information.

22
23 I'm assuming that millions of files
24 are on that system. Some of them have been sitting around

1 | for a while?

2 | A. (Williams) So I don't know --
3 | just one sec. So I think I'll maybe start again. So your
4 | assumption would be correct, and that's why it's been
5 | identified here, because NAS was a system where there
6 | wasn't the ability to automate that removal, and as is
7 | explained here, it was -- there was the planned shift or
8 | evolution to SharePoint Online and remove the NAS entirely
9 | and then automate the ability to both scan and remove for
10 | any personal data that was uploaded to that system. So
11 | yes, there could have been personal data that was on
12 | there, and that's again why it's been identified in the
13 | evidence.

14 | Q. And in terms of the ability to
15 | automate the removal of that sort of information, I
16 | understand the explanation for the CIS, it's a particular
17 | system that's set up in a certain way and would involve a
18 | lot of coding. The system that we're talking about here,
19 | which is akin to a network drive, a shared network drive

1 | that has files and folders, is the technical difficulty
2 | the fact that you have multiple users and millions of
3 | files who have stored and created and put information on
4 | this system over a number of years in a relatively
5 | unorganized way? Is that the technical difficulty?

6 | A. (Williams) So I would say yes,
7 | sir, and that's, I think, in essence, what the modern
8 | SharePoint Online addresses, where you have the ability to
9 | not just scan and automate the removal but you're also
10 | categorizing the type of documents that are going on
11 | there. So you have a much better understanding, a much
12 | better way of organizing the data that's on a system like
13 | that. The NAS is not to the same extent as CIS, but it is
14 | just another example of a system that has now been
15 | surpassed by superior technology and is, I think, just
16 | emblematic of the evergreening and evolution that occurs
17 | when you're dealing with IT and the privacy implications
18 | that come with it.

19 | Q. The Company's preferred means of

1 | dealing with information like would be stored in the NAS
2 | now is SharePoint?

3 | **A.** (Williams) I'm just hesitant on
4 | the "preferred". It is -- I mean, our employees would
5 | have the ability to also use MS365 OneDrive, but with
6 | that, that is newer and that has the ability to scan and
7 | doesn't have the same technical limitations. So in terms
8 | of sharing documents that would be available to multiple
9 | people in the company, yes, the preferred approach is
10 | SharePoint because of the ability to categorize those
11 | documents and organize it. OneDrive is more of a
12 | convenience working within a very small group or within a
13 | couple of people. SharePoint is where the majority of
14 | documentation would be included.

15 | **Q.** And were either SharePoint or
16 | OneDrive impacted by the cyberattack?

17 | **A.** (Williams) No, they were not.

18 | **Q.** And how long has the Company had
19 | SharePoint?

1 A. (Williams) SharePoint -- there's
2 iterations of SharePoint. So SharePoint has been used by
3 the company for a number of years. SharePoint Online is
4 the version that has the availability to do the things
5 that we've been talking about. There's been prior
6 versions of SharePoint that have not had that ability.

7 Q. And how long has the Company had
8 access to either SharePoint version?

9 A. (Williams) We've had a version of
10 SharePoint. I don't know definitively, sir, but certainly
11 going back prior to 2020, 2018, 2019.

12 Q. So ---

13 A. (Williams) Sorry, sir, I'm being
14 reminded that our on-premises SharePoint, so not the
15 SharePoint Online, but our on-premises or previous version
16 of SharePoint was impacted by the attack. It was not --
17 the information on it was not accessed, but the
18 functionality was impacted in that we could not use it.

19 Q. Has that been regained? Do you

1 | now have access to the data that's on there now?

2 | **A.** (Williams) In large part, no. It
3 | just goes to how crippling this really was. So from the
4 | regulatory perspective, that is how we operated and
5 | prepared documents. So all of a sudden, on April 25th, we
6 | no longer had any of the documentation we had historically
7 | or anything that we were preparing for filings with the
8 | regulator. So everything had to be migrated to the
9 | SharePoint Online on the fly, effectively.

10 | **Q.** For the Network Attached Storage,
11 | the use of the Network Attached Storage device, does the
12 | Company have any particular policies about how that should
13 | be used and what information should be put on it?

14 | **A.** (Williams) Yes, so it has our
15 | existing -- we have our existing policies and procedures,
16 | and then we have the training that exists for our
17 | employees, but that is the problem with the NAS; beyond
18 | that, there's no way to control how it's used or what's
19 | being put on there, and that's one of the reasons that we

1 | had plans in place to move away from it and destroy it,
2 | because of the limitations that it has in that regard and
3 | our inability to control it. The SharePoint Online has
4 | much more -- many more capabilities than obviously the
5 | NAS, but also more so than the previous version of
6 | SharePoint, which I believe is SharePoint 2016.

7 | Q. When we started this line of
8 | questions, we had a bit of an exchange about whether the
9 | information was supposed to be stored on the NAS or not
10 | and hold up to reference to the millions of files. Your
11 | initial response was, "No, that was intended for storage.
12 | It was for transfers or whatever." Was it the case that
13 | this was only supposed to be for temporary sharing and use
14 | and that information should have been deleted after that
15 | was done?

16 | [12:50:00] A. (Williams) So, you know,
17 | originally, I don't -- I don't have any experience as to
18 | what originally the Network Attached Storage would have
19 | been established within Nova Scotia Power. It had evolved

1 | to a point where it was used commonly with people but not
2 | necessarily to collaborate on documents. SharePoint was
3 | the preferred and has always been the preferred manner in
4 | which to do so, but that is not to say that the NAS,
5 | Network Attached Storage, could not or was not used for
6 | purposes in certain instances, but again, when documents
7 | would be shared internally, they would be shared through
8 | SharePoint, with links through SharePoint or the documents
9 | being sent through SharePoint.

10 | **Q.** Did the Company consider it to be
11 | acceptable practice to allow personal information of
12 | customers to be copied there and not removed?

13 | **A.** (Williams) No, it would not have
14 | been acceptable practice for that information to not have
15 | been removed, but there was no way to, as I say, scan and
16 | automate that removal. And so you would have -- you would
17 | certainly have instances where employees depart, they move
18 | on, they're in different roles, and data is perhaps left
19 | behind.

1 Q. And I know you've said -- or the
2 Company has said that it had a plan in place. It's
3 referenced on the page and it's still up on the screen in
4 the next paragraph down, beginning on line 7. They had a
5 place -- a plan to provide the business owners, I guess,
6 an opportunity to remove that material from the Network
7 Attached Storage device within a certain deadline that
8 hadn't -- the trigger hadn't been pulled on that? That
9 was just in planning?

10 A. (Williams) That plan was part of
11 the shift to SharePoint Online, the intent. So there was
12 a plan to move from SharePoint 2016 to SharePoint Online,
13 and as part of that, we would obviously be doing away with
14 SharePoint 2016, but you would also do away with the NAS.

15 And as part of that shift, the
16 instruction was expected to be, "You're going to lose
17 everything on the NAS, so if there's anything you need
18 from there, take it off and put it on SharePoint, and if
19 there's any personal information there, it needs to come

1 out." But that was the plan and the path.

2 Q. And, sorry, that occurred in
3 2024-2025?

4 A. (Williams) No, that was in
5 progress, and so not to dwell on -- the Emera affiliates
6 were all making that transition at the same time, and
7 certain of the Emera affiliates had already completed that
8 transition. Nova Scotia Power was essentially next up in
9 line when the incident happened. That's one of the
10 reasons we were able to get back up and operational so
11 quickly, because SharePoint Online was -- we were kind of
12 next in the queue to do that, and so it was available to
13 us to adopt immediately. So we really just escalated that
14 transition process in the aftermath of the incident.

15 Q. And why wouldn't that sort of a
16 process have been undertaken, going as far back as 2020,
17 when SharePoint was first acquired or, you know, it was
18 around then that I think you said for the previous
19 version, the on-premises version?

1 A. (Williams) Yeah, it's just they
2 evolution of a functionality within those versions. And
3 so SharePoint online was the version where that was
4 available. In 2016, that wasn't something that was part
5 of the standard SharePoint offerings, those types of
6 packages, and so SharePoint 2016 was an on-prem service.
7 SharePoint Online was the first in the cloud version of
8 SharePoint.

9 Q. My question is that the decision
10 to migrate data from the Network Attached Storage to
11 SharePoint Online, why wouldn't that have been done with
12 the previous version of SharePoint, the SharePoint on-
13 premises version?

14 A. (Williams) It would have -- we
15 would have still had the same issue, and that was the
16 SharePoint 2016. We would have been limited in what we
17 could do in terms of scanning and removing. So SharePoint
18 Online was the first version where that could be automated
19 within that. So you could have done it, but you would

1 have had the same residual problem.

2 Q. There have been undertakings
3 about the size of various data storage areas. I would ask
4 a similar undertaking to understand what the size of --
5 the volume of data in the Network Attached Storage device
6 was at the time of the cyberattack, if I could?

7 A. (Williams) Yes, sir.

8 THE CHAIR: So that will be
9 Undertaking U-15.

10 UNDERTAKING U-15 - To provide the
11 size or volume of data contained
12 in the NAS device at the time of
13 the cyberattack

14 BY THE CHAIR:

15 Q. In terms of the removal of Social
16 Insurance Numbers, I'm going to characterize it as a
17 relatively passive approach was taken in 2018. You might
18 disagree with that approach. A change was undertaken in
19 2024 when more proactive steps were taken than to remove

1 the Social Insurance Numbers from the CIS at that point in
2 time.

3 I think, Mr. Williams, it may have
4 been you in some of the previous responses had talked
5 about assessment of risk over time and changing assessment
6 of risk, and I'm wondering if you can give me a bit of a
7 better insight in terms of how the risk calculus changed
8 between 2018 and 2024 that caused you to do it at that
9 point in time?

10 A. (Williams) In terms of the
11 initial approach, sir, I would characterize it as cautious
12 more so than anything, but I don't know that I have much
13 more to offer other than it was an evolving discussion,
14 recognizing the risks of CIS. I think at the same time
15 there was also ongoing discussions and development of a
16 timeline for when the new CIS would be brought forward.
17 And so there's a number of different things that I think
18 came into play during that period, and I acknowledge the
19 passage of time between 2018 and 2024. The reality is I

1 | don't have much else to offer other than it's my
2 | understanding -- it's our understanding that what
3 | transpired during that timeframe was the continuous
4 | discussion of the recognition that the SINS needed to be
5 | removed and the continuous internal discussion or debate
6 | about what the risks were to CIS and what was an
7 | acceptable level of risk and what was the best way to go
8 | about potentially removing, isolating or identifying, I
9 | should say, and removing the SINS within that system.

10 | Q. A moment ago, you connected part
11 | of that response to the timing of the replacement of the
12 | CIS. Does that mean it became apparent to Nova Scotia
13 | Power or that Nova Scotia Power made a decision at some
14 | point that because the CIS replacement project was
15 | continuing to be delayed, that perhaps more urgent
16 | attention to this Social Insurance Number issue was
17 | warranted?

18 | A. (Williams) I don't think it would
19 | have been a -- necessarily a significant driver, sir, but

1 | it would have been part of the discussions to what's the
2 | timeline on the replacement CIS where we're going to have
3 | the ability to automize this type of removal. And so when
4 | you're talking about is it worth the risk of doing the
5 | work within the existing CIS, you would want to understand
6 | the timeline in which you're going to have the ability to
7 | do the work in a safer environment or do it as part of a
8 | transfer to a safer environment.

9 | [1:00:04] Q. You said earlier today, the
10 | policies, the current policies that you have around
11 | privacy were all developed around 2019, 2020. The
12 | retention schedule that goes along with that, was that
13 | developed at the same time?

14 | A. (Williams) Yes. My understanding
15 | is that it would have been -- I mean, all relative, I
16 | suppose, same general timeframe. I think it would have
17 | been something that was beginning to be developed earlier
18 | than that, and I think some of that work would have likely
19 | occurred in the 2018, maybe in the -- a bit earlier than

1 | that. But it would have been as part of the same
2 | initiative, yes.

3 | **THE CHAIR:** Probably, I'm going to go
4 | for a while still, I suspect, so it's probably a good idea
5 | to break for lunch for now.

6 | Any concerns if we shorten the lunch a
7 | little bit because of the longer break? Say 45 minutes,
8 | or so, instead? Seeing nods of general agreement, so
9 | we'll do that.

10 | It's 1 o'clock now, or thereabouts.
11 | We'll come back at quarter to 2:00.

12 | --- Upon recessing at 1:01 p.m.

13 | --- Upon resuming at 1:46 p.m.

14 | **THE CHAIR:** Okay. Welcome back.

15 | **GLEN MacLEOD, Resumed:**

16 | **CHRIS LANTEIGNE, Resumed:**

17 | **LIA MacDONALD, Resumed:**

18 | **BLAKE WILLIAMS, Resumed:**

19 | **QUESTIONS FROM THE CHAIR, (Cont'd)**

1 Q. Just in terms of the Data Lake --
2 the data in the Data Lake, you'd previously noted that it
3 was encrypted at rest. Does that -- that included the
4 data in the staging area as well?

5 A. (Williams) Yes, sir.

6 Q. Okay. And is the -- does Nova
7 Scotia Power pay a fee or a licence or anything maybe on a
8 monthly basis based on the amount of data in the Data
9 Lake? Is that how that works?

10 A. (Williams) I'd have to take that
11 one away, sir, if you need an answer for that. No-one up
12 here has a certain answer for that.

13 Q. Okay. If you wouldn't mind.

14 A. (Williams) Yeah, absolutely.

15 **THE CHAIR:** Undertaking U-16.

16 **UNDERTAKING U-16 - To advise**
17 **whether Nova Scotia Power pays**
18 **any fees on a monthly basis based**
19 **on the amount of data in the Data**

1 Lake

2 BY THE CHAIR:

3 Q. I guess I'm just going throw this
4 out here. I'm not sure who it's directly aimed at, but
5 just in terms of the company's position, does Nova Scotia
6 Power agree that one of the reasons to have a retention
7 schedule and for destroying records after retention
8 periods expire is to prevent theft, misuse, and
9 unauthorized access, particularly in the case of personal
10 information?

11 A. (Williams) We'd agree, sir, yes.

12 THE CHAIR: Mr. Norwood, if we could
13 go to Exhibit N-16, please. Page 68 in the PDF.

14 BY THE CHAIR:

15 Q. In terms of -- I'm focusing on
16 the paragraph that begins, "The types of impacted personal
17 information."

18 In terms of the information that is
19 included there -- and I probably should have pulled up the

1 other one because I'm going to include Social Insurance
2 Numbers as well in that -- what is the retention period
3 contemplated in the schedule for information of that type?
4 Is it seven years?

5 **A.** (Williams) That's right, yes.

6 **Q.** And how long has it been seven
7 years for that type of information?

8 I know we talked just before the lunch
9 break that the retention schedule itself is circa 2020,
10 maybe a little bit earlier. Did it exist even before
11 that?

12 **A.** (Williams) My understanding, sir,
13 is that there was a retention schedule prior to that. I
14 don't -- I have never seen it.

15 I will say that it would have been
16 very different, given the fact that there would have been
17 more paper records at the time and that type of thing so
18 that -- I mean, the world has changed, obviously, but I've
19 never seen that retention schedule. But I certainly have

1 | had it communicated to me that there was a prior retention
2 | schedule.

3 | Q. Okay. And so it would have --
4 | whatever the period would have been, it would included --
5 | it would have included a set period for removing
6 | information like this from your records -- personal
7 | information of customers from your records?

8 | [1:49:59] A. (Williams) I think it's safe to
9 | assume that, sir, but the retention schedule would have
10 | been a record retention, not necessarily specific to
11 | personal information.

12 | **THE CHAIR:** And if we could go to
13 | Exhibit N-17 again. And going to page 53, line 8.

14 | **BY THE CHAIR:**

15 | Q. So:

16 | While Nova Scotia Power retained customer
17 | data beyond the timeframe set out in the
18 | record retention schedule, the retention
19 | schedule had been developed with specific
20 | technical functionalities in mind and strict
21 | adherence to it was not possible until those
22 | functionalities were in place.

1 That's been referenced a few times
2 already in this proceeding.

3 It sounds like, though, that if the
4 schedule was developed with those functionalities in mind,
5 Nova Scotia Power, when it developed this schedule with
6 the seven-year timeframe, would have been aware that it
7 was holding personal information of customers already that
8 was beyond that period at that point in time?

9 **A.** (Williams) Yes, that would have
10 been the case in relation to the CIS.

11 **Q.** And what was the plan at that
12 point in time to bring the company back into or put it
13 into a place where it would be fully compliant with the --
14 what was contemplated in the retention schedule?

15 **A.** (Williams) So those measures
16 would have been as we've discussed, sir, which would have
17 been the understanding that in order to fully
18 operationalize CIS so that it was consistent with the
19 retention schedule; quite frankly, any retention schedule,

1 | would have been -- would need to be -- it would need to be
2 | modernized. So that was the main strategy, if you will,
3 | to ensure.

4 | And that goes back to the fact -- the
5 | discussion we had about the source. It is the source and
6 | it is what allows that information to persist within the
7 | system. Once you have addressed the source you have, for
8 | the most part, addressed the root cause.

9 | Q. Okay. So what I'm not
10 | understanding from that, then, is that when the retention
11 | schedule was put in place, when the more recent iterations
12 | of the policies were developed, Nova Scotia Power knew it
13 | was holding onto personal information beyond those
14 | timeframes and essentially its plan was that the Customer
15 | Information System was going to be replaced and that was
16 | the solution.

17 | A. (Williams) So yes, I think that
18 | is, in part, imparted.

19 | I mean, we've also discussed, you and

1 I, about the evolution of SharePoint and the ability to
2 automate within SharePoint, so -- and the effect that
3 would have on the ability to then destroy the NAS, migrate
4 anything from the NAS.

5 So there were -- there were those
6 technological evolutions that needed to occur in order to
7 fully -- you know, fully implement the schedule.

8 Q. The issue with the Customer
9 Information System, would you agree, is a bit different
10 than the issue with the Network Attached Storage?

11 As I understand it, the CIS, problem
12 is that the way it's programmed, you're simply going to
13 break it if you try to remove that data. The issue with
14 the Network Attached Storage is more a human one: You
15 have many people using it, they're not using it an
16 organized way, and it's very difficult to police exactly
17 what they're doing on it.

18 A. (Williams) Yes, I think that's --
19 yeah, I'd agree with that characterization. I think that

1 I would go back to the fact that the CIS is the source of
2 that information for the most part. That's where the
3 information originates and resides on the system, so I
4 think that kind of proliferates out from there.

5 Once you address CIS, you have in part
6 addressed, and I say in part the issue elsewhere, but
7 there's also the need to ensure that those other systems,
8 and in this case the SharePoint and NAS aspect of our
9 systems is also in compliance.

10 Q. Right. But the NAS was not in
11 any way dependent on anything having to do with the CIS
12 and the fact the data had to be retained. That was just a
13 function of it was there for people to use and they were
14 using it, and perhaps not in a most data-friendly way.

15 A. (Williams) That's right, and it
16 had no automation available on it. That's correct.

17 Q. Now, you've made an improvement,
18 and I just wanted to ask about that because it's also
19 referenced in N-17 at page 61, at line 28.

1 We can pull it up quickly. It's a
2 reference to the scanning tool that was used to remove the
3 Social Insurance Numbers, and there's a reference that
4 once it's kind of -- you're comfortable that it's not --
5 no longer needed exclusively for that purpose it may be
6 used to expand it to other personal information. And I
7 just wondered if you could elaborate on that a little bit.

8 **A.** (Williams) So it's a newer tool
9 that's now available within 365. So that -- I think I
10 mentioned it just in passing earlier. So it's a newer
11 tool now being scanned -- used to scan for SINS on an
12 ongoing basis. And as we get additional experience with
13 it, it will be expanded to scan for all types of personal
14 information.

15 **Q.** And I'm just trying to picture
16 this in my mind. So it would scan within your systems for
17 personal information in that sense, and if it detected any
18 it would produce a report that would go to someone?

19 **A.** (Williams) Yeah. So I'm not

1 | entirely sure on what the output of it is, but it doesn't
2 | -- just to be clear, it scans the Microsoft systems, not
3 | the entire systems, which would include Outlook email,
4 | those types of things.

5 | Q. And SharePoint and OneNote?

6 | A. (Williams) Yes. Yes, yeah. And
7 | so would identify those. I can't confirm precisely what
8 | the output is, but yes, it does flag and allows for that
9 | information to then be addressed.

10 | **THE CHAIR:** Mr. Norwood, if we could
11 | go to page 52 in the same document, please, line 29.

12 | **BY THE CHAIR:**

13 | Q. There's a reference there to:

14 | Automated records destruction
15 | activities...such as the deletion of [Social
16 | Insurance Numbers]...

17 |
18 | Now, I just was unclear. Is that a
19 | reference to the tool that we just spoke about? My
20 | understanding is it wasn't really an automated tool for
21 | the deletion of SINs before the cyberattack?

1 A. (Williams) (Inaudible due to away
2 from microphone.)

3 Q. Sorry, your microphone,
4 Mr. Williams.

5 A. (Williams) So maybe if you could
6 just give me the question again; sorry.

7 Q. Yeah. No, I just -- I -- when I
8 read this, it seemed to be suggesting that you had an
9 automated records destruction tool for Social Insurance
10 Numbers, which I didn't assume -- I didn't understand was
11 the case, except for the new tool that was implemented
12 that we just spoke about. And is that a reference to that
13 tool, or is this something else?

14 A. (Williams) This is just
15 identifying that there would -- when actions are taken on
16 the system, so when the SINS were deleted from the CIS,
17 there would be a -- as it's referred to here, an IT change
18 management process or log identifying that it was done on
19 the system, but there would not be a separate schedule

1 specifically saying this was deleted on such and such a
2 date as part of the privacy program.

3 [2:00:04] Q. Okay. It wasn't intended to
4 refer to a specific automated tool as much as a process
5 that would have deleted the information.

6 A. (Williams) That records changes
7 on the system, yes.

8 Q. In her evidence, Ms. Ralph noted
9 that Nova Scotia Power's privacy training completion rate
10 fell to 79 percent in 2025, and suggested that after an
11 event like Nova Scotia Power experienced best practice
12 would suggest more focus on training completion.

13 I wasn't sure I saw a specific
14 response to that in the rebuttal evidence that we have
15 been looking at here. What is the company's view of that?

16 A. (Williams) So I think we've
17 attempted to be fairly clear around kind of what our
18 position is and what our stance is coming out of that, and
19 as it relates to training. I appreciate Ms. Ralph's view

1 and her opinion on that, but I think again what she, in
2 fairness to her, would not have fully appreciated was how
3 dramatic the impact was on the operations of the business.

4 So things like that training, that --
5 I think there needs to be understanding. On the day of
6 this incident, really what we were left with was the
7 ability to communicate with each other, and nothing else
8 because as I said, we didn't have access to SharePoint, we
9 didn't have access to nearly all of our systems.

10 So there's just a certain reality that
11 needs to be acknowledged when you're looking at what that
12 completion rate is in the face of, and then in the
13 response, or the immediate period after the incident.

14 Q. Okay. And Mr. Williams, you said
15 yesterday ---

16 A. (Williams) Ms. MacDonald was just
17 reminding me to mention that, obviously that completion
18 rate is back up to 100 percent.

19 Q. Great.

1 Mr. Williams, you said yesterday, and
2 I'm paraphrasing a little bit here, and I could pull up
3 the transcript if you like, but something to the effect
4 that significant -- a significant culture shift in how
5 important cybersecurity privacy is sort of invested in the
6 utility after the -- after an incident like this. Do you
7 recall that or that sentiment?

8 **A.** (Williams) I do. I don't think
9 we need to pull up the transcript.

10 **Q.** Okay.

11 **THE CHAIR:** Mr. Norwood, if you could
12 go to Exhibit N-11, please, and go to page 19 on the PDF,
13 please.

14 **BY THE CHAIR:**

15 **Q.** I'm looking at the table that
16 Board Member Melanson looked at earlier today.

17 A moment ago, you talked about the
18 impact of your -- on your systems immediately after the
19 cyber event. And in this chart of three years of sort of

1 phishing failure rates, it's not applicable in May and
2 June of 2025, which I assume relates to just the
3 possibility of actually conducting an exercise like that
4 at that point in time?

5 **A.** (Williams) That's right, sir. I
6 mean, I -- impossibility is a strong word, but
7 impracticability for sure, yes.

8 **Q.** Okay. And Mr. Melanson focused
9 on that September 9.6 number. And I know you've addressed
10 that, and in some detail with him. I do have some
11 questions I want to follow up on with that.

12 But first, can you give me an
13 understanding of what the phishing program entails at a
14 very high level? I'm not looking for anything that would
15 be confidential. Let me start with you've got about 2,500
16 full-time equivalent employees?

17 **A.** (Williams) Yes.

18 **Q.** And so how many employees in any
19 given month might be receiving a phishing test?

1 A. (Williams) That would be
2 everyone, sir, that has access to a computer. So everyone
3 with a computer.

4 Q. Okay. All 2,500 employees that
5 have access would get the test on a -- every month?

6 A. (Williams) Yes.

7 Q. Okay. And in light of that,
8 that's, you know almost one in ten people at the company
9 failed that particular phishing test in September, only a
10 few months after the cyberattack, that does seem a little
11 bit concerning and I know the response to Board Member
12 Melanson's questions were that that was discussed at the
13 senior management or the executive team. I can't remember
14 which one it was.

15 Other than discussing it, were there
16 specific actions that came out of that discussion to
17 address that particular result?

18 A. (Williams) I think, sir, maybe
19 some context on that discussion with senior leadership.

1 So those are quarterly meetings that happen with all
2 director level and above positions within the company.
3 And so there was a -- if I'm recalling correctly, there
4 was a specific segment of that meeting that was dedicated
5 to this where the statistics were reviewed and discussions
6 were had about the emphasis that needed to be put on this
7 and filtered down within the Company.

8 Obviously, we've discussed already the
9 training that does exist and the remedial training. So
10 every one of these employees that would have fallen victim
11 to the phishing -- the phishing testing -- would have had
12 remedial training. It was generally coming out of this
13 period, following up on that month in September where the
14 initial or the additional step was taken to impose the
15 financial repercussions on employees. And that's what we
16 discussed previously, where you are -- if you do fail two
17 phishing tests, then you have that financial repercussion
18 imposed on you. So that was the additional step that was
19 taken to ensure that not only is the training occurring

1 and the message and the culture shift, but that there is a
2 financial incentive or disincentive, depending on your
3 perspective, I suppose.

4 Q. So that change was a result of
5 those specific numbers being reviewed at that meeting?

6 A. (Williams) Well, it's impossible
7 to look at any of it in isolation. That change was
8 something that came out of what we just went through, but
9 certainly recognizing what happened with that month in
10 September. That change is something that flowed from the
11 general discussion, yes.

12 Q. Nova Scotia Power has
13 approximately 490,000 residential customers, subject to
14 check?

15 A. (Williams) Subject to check, yes,
16 that's approximately right.

17 Q. And you sent letters to
18 approximately 375,000 of those? I think there was the
19 first tranche of 277,000 and then the 97,000 in October?

1 A. (Williams) Yes.

2 Q. So that's about 76-77 percent of
3 customers got a letter?

4 A. (Williams) I'll take your math,
5 subject to check, yes, sir.

6 Q. You should never take my math.
7 We'll go with that.

8 So anyway, whatever the exact
9 percentage might have been, there was some percentage of
10 the residential customer population that didn't get a
11 letter, and I'm wondering if you could kind of explain
12 what characteristics these customers had that resulted in
13 them managing to not have personal information impacted by
14 the data breach?

15 A. (Williams) Yes, sir, it would
16 have been in -- and I'll ask anyone here to jump in as
17 well, but it really would have been about timing and about
18 new customers since 2021 for the most part. It's because
19 of that cut over.

1 Q. Thank you. And so Nova Scotia
2 Power would have known -- or I guess I should ask -- did
3 Nova Scotia Power know, when it was sending out that
4 initial batch of letters in May, that former customers who
5 would also have been in that copy of that CIS data would
6 have been impacted?

7 [2:10:57] A. (Williams) I think -- I mean,
8 that was very early, obviously, but I think just the
9 general nature of what we would have been dealing with, we
10 would have had a sense or idea that there was likely at
11 the very least a sense or an idea that there was likely
12 former customers' information included in there, but for
13 the same reason that direct notices were not sent to
14 former customers, they wouldn't have been sent at that
15 time either because we wouldn't have known -- we wouldn't
16 have had current contact information for them.

17 Q. So it would make sense to me that
18 you discovered this copy of this file in the Data Lake
19 that was impacted and you went about specifically

1 identifying named customers to send letters to,
2 distinguishing even between those as to who would get a
3 Social Insurance Number version and who would not.

4 My question would be you also have
5 named former customers at that point in time in your
6 possession as a result of that exercise from the data from
7 1997 to 2001?

8 A. (Williams) So my only hesitation,
9 sir, is I don't -- I can't speak specifically to what
10 records within -- with what was being reviewed at the time
11 would have had those former customers included in them.
12 It's all part of that Data Lake cut, but as Ms. MacDonald
13 indicated, it's a complex mis of files, and so I would
14 assume, just like you are, that there would have been some
15 former customers within that, but again, those would have
16 been names and contact information that are historical in
17 nature.

18 Q. No, that's fair. That's fair.
19 But you were able to look through that data and pull up

1 277,000 specific names of customers. I'm assuming it
2 wasn't by some random stroke of luck that all those names
3 just happened to be current customers? You did identify
4 former customers, but you had no means of contacting them?

5 **A.** (Williams) I would assume that's
6 the case, yes.

7 **Q.** And this may have been answered.
8 Ms. MacDonald, you may have answered it. I may just have
9 not understood or been confused, but the ability to
10 distinguish between customers in terms of the Social
11 Insurance Number impact versus no Social Insurance Number
12 impact, was that the case that right at the outset you
13 were able to, when you were pulling the customer names out
14 of it, you were also able to associate SINS with those
15 names right out of the gate?

16 **A.** (MacDonald) Yes, that's my
17 understanding as well.

18 **THE CHAIR:** Sorry, Mr. Norwood, if we
19 could go back to Exhibit N-16? I don't know if you still

1 have it handy there. I think it might be the same page.

2 **BY THE CHAIR:**

3 Q. I know this has been fairly well
4 covered, so it's with a little bit of trepidation that I'm
5 going down a path again, but most of the questions, I
6 think, focused on the paragraph that I referred to before
7 about the types of information and the "may" sort of
8 thing.

9 I wanted to focus a couple of
10 questions on the paragraph that leads into that, if I
11 could. So that paragraph says:

12 While the investigation remains ongoing, we
13 have determined that on or around March 19,
14 certain customer information stored on the
15 impacted servers was accessed and later
16 taken by an unauthorized third party.

17
18 So would you agree with me that a
19 reader generally reviewing that particular sentence would
20 take from that that some information on a server was
21 accessed and taken, but by use of the terms, "Certain
22 customer information," it's a little bit equivocal in

1 terms of the information -- not all the information on the
2 servers may have been taken?

3 **A.** (Williams) Yes, by using the word
4 "certain" you would imply that potentially not all of the
5 data, and I think then we're back to one of those
6 discussions we had a few times yesterday, which is we're
7 still not -- we still cannot be certain as to what was or
8 was not taken for each individual customer.

9 **Q.** Right. And in terms of this
10 notice, the next sentence goes on to say, "Your personal
11 information was stored on the impacted servers."

12 So a person getting this letter is
13 being told their information was on a server, but they are
14 left to some degree of uncertainty in terms of whether
15 their information was impacted. That would be the normal
16 interpretation of that paragraph?

17 **A.** (Williams) And I think it would
18 be the intentional interpretation of that paragraph, and
19 it goes back to the boxes were touched, but we don't know

1 | what from the boxes was taken.

2 | Q. Right. You understand, though,
3 | how that might raise questions in a customer's mind in
4 | terms of the level of uncertainty and seeing something
5 | like this and wanting to get certainty?

6 | A. (Williams) I absolutely -- as a
7 | customer myself, sir, I understand that. It's a concern
8 | we, as I said, acknowledge, appreciate and understand.
9 | There's a certain reality that we're dealing with, and it
10 | goes back to that which I just said, which is we can't
11 | definitively say what would have or what was or was not
12 | taken. So to say anything other than what was said would
13 | have been misleading.

14 | Q. And so what was the point of
15 | sending this letter to customers to advise them that there
16 | may have been an impact on them?

17 | A. (Williams) Well, the point was to
18 | fulfil our obligations under PIPEDA which require us to
19 | provide this type of notification.

1 Q. And in terms of the communication
2 to customers, why wouldn't you have taken, as suggested by
3 Ms. Ralph, I think, to tell customers that customer
4 information was impacted and perhaps they should assume
5 that anything that they provided to you was impacted as
6 well? Do you think an approach like that would have
7 alleviated some uncertainty? They would have some sense
8 of what information they provided you?

9 A. (Williams) Not those exact words,
10 but I do believe that's the intention of the letter, and
11 when you read the paragraph at the bottom of the screen
12 here:

13 While we have no evidence of misuse of your
14 personal information, as a precautionary
15 measure arrangements have been made.
16

17 So I think that is the intent is to
18 ensure people are made aware of the potential or taking
19 the appropriate precautions, assuming that -- assuming
20 effectively the worst-case scenario.

21 And maybe, sir, I'll just add on that

1 to kind of provide a bit more context. So when you --
2 that measure was taken and the action was not just a
3 letter but the offering, obviously, of TransUnion, and
4 within TransUnion, within that service, back to the
5 discussion I had with Mr. Melanson, when you go in to
6 register for that service, even if you're in a scenario
7 where -- let's say just an email address had been
8 disclosed, by virtue of that service, you have available
9 to you to enter all of your personal information if you
10 elect to, or none of it. So, you know, the service itself
11 allowed for the most cautionary approach allowed for
12 customers to protect all information. So it really was
13 advancing that cautionary approach or the worst-case
14 scenario approach that I think you're hinting at.

15 [2:20:09] Q. Thank you.

16 Is it Sejda? Is that how you
17 pronounce that?

18 A. (Williams) Yes, that's my
19 understanding as well, assuming I have it right.

1 Q. And that was the company that you
2 retained to assist you in setting up your portal for the
3 former customers that you weren't able to contact to be
4 able to connect with you to register for the TransUnion
5 service?

6 A. (Lanteigne) That's correct. It's
7 an organization that works with external -- including
8 TransUnion, so it was recommended to work with them to set
9 this service up.

10 Q. And when did you retain them?

11 A. (Lanteigne) I would have to get
12 the exact date, but it would have been in the weeks
13 leading up to the June 25th date where that tool was
14 launched online.

15 Q. Okay. So sometime early June?

16 A. (Lanteigne) I'd have to check
17 exactly, but yeah, I believe it was around there, yeah.

18 Q. I have a few questions relating
19 to the seasonal logic model. I know that ground has been

1 well covered as well, so I'll try again not to be overly
2 repetitive.

3 My understanding is that by default,
4 the system is set up so that it's got the two six-month
5 periods, the warm period and the cold period, and the cold
6 period goes from November 1st to April 30th?

7 A. (Lanteigne) You are correct, two
8 periods, warm and cold.

9 Q. And what period is used on a bill
10 is actually determined by the billing date, if I followed
11 all the other information. So if you had a billing period
12 for a residential customer from September the 1st to
13 November the 1st and they got a bill on November the 2nd,
14 all of those days in September and October would have been
15 treated as cold days?

16 A. (Lanteigne) Your understanding is
17 correct.

18 Q. And so I guess by design, the
19 model itself would tend to overestimate consumption in the

1 first part of a cold season and underestimate consumption
2 in the peak part of the cold season?

3 **A.** (Lanteigne) That definitely could
4 be something that would occur for customers who, for
5 example, heat their homes with electricity in the winter.
6 For other customers who have consistent usage throughout
7 the year or don't heat with electricity but do have air
8 conditioning, it could be the other way, but yes, you have
9 a good understanding of how that works.

10 **Q.** And there's bills that were
11 provided in -- random bills that were provided, real bills
12 with anonymized information on them to customers, I guess,
13 that both showed, I think you'll agree, higher billed
14 consumption in the November 2025 bill compared to the
15 November 2024 bill. And in some cases or in both cases,
16 it was not immaterial either. I think in one case it was
17 more than double and the other, it was 40 percent higher?

18 **A.** (Lanteigne) I would have to check
19 the evidence, but I'll take your word for it, yeah.

1 Q. It wouldn't surprise you?

2 A. (Lanteigne) Yeah, no, again,
3 we've talked about there were some cases where, yes, we
4 did see an increase in estimates in the month of November.

5 Q. And that would be particularly
6 the case for anyone who heated with electrical?

7 A. (Lanteigne) Not necessarily, but
8 yes, there could be a higher degree, someone who has a
9 higher cold season usage could have experienced the higher
10 estimate being in November, yes.

11 Q. Well, they would have.

12 A. (Lanteigne) Right, right.

13 Q. Yeah. And so recognizing this,
14 your communications in early November, mid-November, began
15 to turn to emphasize flexible payment options consisting
16 of equal billing, pay what you can and photo reads?

17 A. (Lanteigne) We didn't really
18 continue with that communication, I would say. One of the
19 things that we, right from the resumption of billing in

1 June, when we started again, we immediately focused on,
2 you know, the promotion of equal billing. Our support of
3 customers who need help with payment plans on arrears
4 balances, that's something that we've actually leveraged
5 even prior to the cyberattack, trying to help customers
6 find a solution.

7 So those messages were already out
8 there, but yes, in November we were continuing to promote
9 them and we have also continued, especially working
10 through the winter months. As the meter reconnection
11 occurred and the reconciliations occurred, we want to be
12 very supportive of our customers to try to help them if
13 they need that support to pay their balances off.

14 Q. Okay. And one of the things that
15 you did was you reverted the model to the warm period
16 billing on November the 21st, I think it was. So you
17 turned that seasonal logic back to, I'll call it, warm
18 mode.

19 And so you have that capability.

1 That's not a reprogramming thing?

2 A. (Lanteigne) That's correct.

3 So it's not -- it's not programming.

4 It's something that in the days leading up to the change,
5 you know, we spent some time testing it, but we do have
6 the ability to make that adjustment.

7 So as you mentioned, and as we've
8 shared previously, we did make that adjustment at that
9 time, yes.

10 Q. When did you revert back to cold
11 season?

12 A. (Lanteigne) It would have been, I
13 believe, like, the second day of January. It was around
14 then.

15 Q. So the customers who heat with
16 electric heat all through December would have gotten a
17 warm estimate for that?

18 A. (Lanteigne) Any customer who
19 would have received an estimated bill would have been

1 following that logic, yes. It wasn't -- we weren't able
2 to segment it by an individual customer type. We didn't
3 have that information.

4 Q. Okay. And so there's a higher
5 likelihood, then, that in December for those types of
6 customers with estimated bills, their bills could have
7 been underestimated?

8 A. (Lanteigne) That is definitely a
9 -- yes, there would be a higher likelihood. I would agree
10 with your statement.

11 Q. Nova Scotia Power, I think, was
12 aware of the limitations of the seasonal logic model even
13 before the cyber incident? Is that fair?

14 A. (Lanteigne) I think we would have
15 understood, you know, that, as we've talked about over the
16 -- and from a variety of angles in this proceeding that we
17 knew that it was a legacy CIS system. We have known that
18 -- it's something that Nova Scotia Power is looking to
19 replace, but understanding this specific issue that we've

1 | been talking about over the last several minutes with
2 | regards to the shoulder season issue, it was not something
3 | that -- you know, we had the awareness to make a change in
4 | advance of November 1st, I guess, if you think about it
5 | that way.

6 | Q. You couldn't have? You weren't
7 | aware of that?

8 | A. (Lanteigne) We could have, but we
9 | weren't aware of the impact that it would have until we
10 | actually, you know, understood and heard the feedback from
11 | our customers.

12 | Q. In part of the rebuttal evidence
13 | -- and I could pull it up if you like, but I just --
14 | you'll be familiar with it. There's a comment made that
15 | the CIS system, that seasonal logic, was, as they quote,
16 | "Overwhelmed by the unprecedented volume and duration of
17 | the billing disruption"; you're familiar with that?

18 | A. (Lanteigne) It does sound
19 | familiar, yeah. I'll take your word for it. Yeah.

1 **THE CHAIR:** If you want to take a look
2 for context, Mr. Norwood, it's N-17, page 37, line 27.

3 **MR. LANTEIGNE:** Yeah, I can see it.

4 **BY THE CHAIR:**

5 **Q.** And I just wanted to parse that
6 out a little bit in terms of the -- how it would become
7 overwhelmed by the unprecedented volume.

8 I appreciate that it was being used
9 for a lot of customers, but as I understand it, the model
10 was doing it -- exactly what it was designed to do. There
11 was nothing that was breaking it because of the increased
12 volume.

13 **A.** (Lanteigne) You are correct. The
14 system was working.

15 You know, this comment here, just to
16 add some additional context to it, the process to issue
17 bills, obviously, is dependent on our Customer Information
18 System, but it's also dependent on the teams that actually
19 work to help get -- issue bills. So the volume of

1 | estimated bills that we had created a significant increase
2 | in the workload for our billing team that helps issue
3 | bills.

4 | So you know, combined with our ongoing
5 | support of customer concerns and helping manage to do
6 | that, to have to estimate bills for such an extended
7 | period of time, the volume of bills that were being
8 | estimated, that created more work to get the bills out the
9 | door. That volume just put pressure on us.

10 | So you are correct. The system was
11 | working. The system was issuing bills. But it's other
12 | factors beyond CIS that were intended to be outlined in
13 | this comment.

14 | [2:30:25] Q. Okay. And in terms of
15 | "Overwhelmed by the duration of the billing disruption,"
16 | would it make sense that because the model uses a six-
17 | month average that, actually, as your billing disruption
18 | period approaches six months, say, in a winter period it
19 | actually would become more accurate?

1 A. (Lanteigne) So you're saying, if
2 I have it right, if we estimated bills for the entire
3 winter, would it all normalize at the end of the winter?

4 Q. Essentially.

5 A. (Lanteigne) Essentially, yes.

6 Q. To what extent do you feel or
7 think that the widely publicized concerns about Nova
8 Scotia Power's overestimation of bills, the availability
9 of these flexible options, the potential for higher
10 consumption winter users to have under-estimated bills --
11 to what extent do you think that all contributed to higher
12 level of arrears for customers once actual meter readings
13 became more regular?

14 A. (Lanteigne) It's a very good
15 question, and there's obviously a lot of elements that can
16 contribute to customers in arrears.

17 Interestingly enough, we saw the
18 volume of customers in arrears begin to increase
19 immediately after -- like, in June of 2025 when we resumed

1 | billing, so we have seen that level increase right since
2 | then, and I think it actually peaked around that time.

3 | I mean, it still is higher than we
4 | have typically seen, and I know we have commented on that
5 | publicly in different hearings.

6 | So from my perspective, you know,
7 | right off the bat we made the decision as an organization,
8 | which I still believe is the right one, and that was not
9 | charging interest on overdue amounts, not disconnecting
10 | any customer who couldn't pay their bill. But as we were
11 | estimating bills and we were being very flexible with our
12 | customers, the other side of that meant that we didn't
13 | have the same collection activity.

14 | So we'd be sending follow-ups. We
15 | wouldn't be following our -- you know, our regulated
16 | collection approach to engage with customers.

17 | So that would have definitely been a
18 | factor, just the change in our management of it which,
19 | again, was really right from when the incident began.

1 And then we do know that heading into
2 the winter months, it's not unique to this period of time.
3 We do typically actually see customers in arrears increase
4 a little bit throughout the winter months.

5 Again, Nova Scotia Power, winter
6 peaking utility, that's when the most energy is consumed
7 in the province. So we see the arrears rates typically
8 increase and then come down as the summer.

9 That would have been a contributing
10 factor.

11 And absolutely. I guess the point you
12 were making as well; if a customer did have a large
13 balance that they were not expecting, that could
14 contribute to that as well.

15 But I just wanted to put some context
16 around it because there's some other elements that we
17 began seeing right away. There's some seasonal elements
18 in there. And then yes, there's also this potential
19 component, too.

1 Q. For your equal billing plans, am
2 I correct that you do adjustments to those twice a year?

3 A. (Lanteigne) That's correct.
4 Typically, yes.

5 Q. And have you noticed, in terms of
6 the more recent round of adjustments after, you know, say
7 January, February 2026 when more regular readings were
8 taking place, that there was an unusual kind of degree of
9 variance in equal billings -- equal billing plan amounts?

10 A. (Lanteigne) So just to actually
11 add some context around this, I think it's an important
12 point.

13 We made the decision and shared with
14 our customers in January that we weren't actually going to
15 be adjusting the equal billing at that time. We actually
16 maintain them at the same level. And the reason for that
17 was, is even though the meter reconnection had happened it
18 hadn't been complete yet; that was completed on March the
19 31st. So we would not have been able to make a full

1 | determination of what the actual usage was to adjust the
2 | payment.

3 | So we kept the payments the same. We
4 | supported any customers who, you know, called us up to
5 | report, "You know, I put in heat pumps. I'd love to have
6 | an understanding of what my payment would look like." So
7 | we would help any customer in that regard. We'd obviously
8 | allow any customer to leave equal billing if they wanted
9 | to as well. And then we actually made the adjustments in
10 | July.

11 | So normally we would make adjustments
12 | at mid-year. So with data available after the meter
13 | reconnection was completed on March 31st, we reassessed
14 | those accounts and made the adjustments in July.

15 | So there's always more adjustments
16 | that occur at the annual reset than would happen in the
17 | mid-year reset, typically, putting the cyberattack aside,
18 | but this month of July, while I don't have the specifics,
19 | I do know that it was about a third of customers that did

1 | see an increase, and the majority of customers stayed the
2 | same. And there were a few customers that actually did
3 | see a decrease of their usage profile change.

4 | Just recognizing we hadn't made those
5 | changes in about, again, 18 months, since before the cyber
6 | incident, we actually took a look at the largest changes,
7 | and we made phone calls to those customers just to inform
8 | them of the change that was occurring. And while, you
9 | know, obviously having to inform a customer if their
10 | payment's going up, you know, we did address any concerns
11 | in the moment, but the general consensus was they were
12 | veery appreciative of the fact that we took the step to
13 | reach out so we could talk it through with them.

14 | **Q.** So the third of those customers
15 | that had increases as a result of the adjustment, would
16 | that be typical, a typical volume of customers who would
17 | see an upward adjustment?

18 | **A.** (Lanteigne) Yeah, I think it's
19 | fairly similar. I mean, we do know that the equal billing

1 | payment is set at multiple points in time, and then
2 | obviously if there are changes to either the rates or any
3 | of the adjustments that can occur, it can cause increases.

4 | So also electrification in the
5 | province, you know, is driving more people to, you know,
6 | switch from fossil fuels to electric heat, so we see usage
7 | profile changes that typically drives increase. So you
8 | know, I wouldn't say that beyond the factors that you
9 | would expect to drive the increase that it was
10 | significantly different.

11 | Q. Sure. And in terms of the
12 | magnitude of the changes based on the recent adjustments,
13 | any difference than what you would typically see?

14 | A. (Lanteigne) I think just because
15 | it was a year-and-a-half rather than a typical year with a
16 | mid-year check that would normally occur, the amounts were
17 | slightly more than we typically would have seen, but
18 | again, it wasn't -- it was not dramatic, if you will. So
19 | -- but yeah, it was a process that we have completed

1 working through.

2 **THE CHAIR:** Mr. Norwood, if you could
3 turn to page -- is this N-17? In N-17, page 36.

4 **BY THE CHAIR:**

5 Q. Looking at line 6, Mr. Lanteigne:
6 Photo meter reads became available again on
7 November 21st, 2025 as soon as operational
8 processes were established to support their
9 use.

10
11 I had understood your earlier comments
12 to be that yes, this portal was open on November the 21st
13 to do that, but before then you were still able to use
14 meter reads. It's just the language here, "Became
15 available again" seems to suggest there was a period that
16 it wasn't available.

17 A. (Lanteigne) Thanks. Just
18 rereading the wording and clarifying. And if the words
19 are misleading that wasn't our intention.

20 But to clarify, you know, what we
21 would intend to say is that, yes, you could get that
22 information on our website at this date that's listed

1 | here, November 21st, but as I mentioned earlier, we were
2 | receiving photo reads in the months leading up to that as
3 | well. Instead of having a website tool that was brought
4 | online on November 21st, we would have had the ability to
5 | just talk to a customer and accept that read and then take
6 | the information and adjust bills.

7 | We weren't able to handle, like, the
8 | volume of them, but we leveraged them in situations where
9 | it was helpful to resolve a call that came into our
10 | Customer Care Centre.

11 | [2:40:02] **Q.** Okay. But in -- sorry. Go
12 | ahead.

13 | **A.** (Lanteigne) I was just going to
14 | say, so the wording again, you know, I do believe it had
15 | been something that had been on our website previously,
16 | but that could be what it refers to. But really, what
17 | I've clarified here is that the online tool became
18 | available. We were accepting them through conversations
19 | in our Customer Care Centre prior to that, to clarify, is

1 | what we were doing.

2 | Q. You didn't have an online tool,
3 | though, for uploading photo reads before this?

4 | A. (Lanteigne) Not to my knowledge
5 | if there was one in years past, but we did not have one
6 | between when we resumed billing on November 21st, that's
7 | correct.

8 | **THE CHAIR:** Mr. Norwood, could you go
9 | to -- I'm looking for Update Number 5. And if you could
10 | go to page 19. And I'm looking for, down further on the
11 | page, the last sub-bullet under number 2(a) there.

12 | **BY THE CHAIR:**

13 | Q. And the last sentence in that
14 | bullet says, "Nova Scotia Power recognizes the drawbacks
15 | of the current presentation..." -- on its bills we're
16 | talking about there:

17 | ...including the estimation of bills and will
18 | aim to address this functionality as part of
19 | the CIS modernization initiative.

20 | And I just want to understand what it
21 |

1 | is that Nova Scotia Power recognizes are the drawbacks.

2 | A. (Lanteigne) Perhaps I can give
3 | just two examples that help illustrate it.

4 | So the first is it's a -- perhaps not
5 | presented in the energy charges, but on our bills there's
6 | typically a line item, yeah, I think it's near the bottom
7 | of the first page, that it mentions that interest on
8 | overdue amounts is 1.5 percent a month up to 19.56 percent
9 | per annum. We -- to remove that from our bill and
10 | actually indicate to customers that late fees were not
11 | being charged, it actually took weeks of programming and
12 | testing to just change those words.

13 | So again, it helps illustrate what we
14 | mean here, and then also some of the other conversations
15 | we've had are on the complexity of the system. So that's
16 | the first example that I'll provide.

17 | The second one is one that -- it came
18 | up a lot in the fall, for example, when if we had
19 | estimated a bill and then we had a true read come in on

1 the following bill -- and I'm going to try to describe
2 this. I've actually presented this to people to show them
3 the bill and explain it. It's a little easier when you
4 can see it.

5 But what happens, basically, is you
6 see an entry for the meter read, which is the usage for
7 the period of time. And I'll take an example of had one
8 estimate for two months and I have a four-month read
9 between reads. So the information would come in. You'd
10 see your four months of base charges, you would see your
11 four months of energy charges based on that meter read.
12 That part is okay.

13 But the -- what ends up happening,
14 then, is the estimated portion of that bill is removed,
15 and when the estimated portion is removed, you can see the
16 amount coming out. But if you take and you look at it,
17 and you actually did the math, you wouldn't be able to
18 understand how you got to the math, and the reason why is
19 the base charge and the energy charge is lumped together,

1 and it all comes out at the same time.

2 So the math works. We have helped
3 walk customers through the math numerous times to
4 demonstrate it to them, but we did not have the ability to
5 change it on the bill.

6 So we recognized that that was a
7 source of confusion, and we filmed videos and we tried to
8 get material out in bill inserts to help customers
9 understand these limitations of our system. But that's
10 just two examples of how when things need to happen, we
11 would like additional flexibility to make changes to the
12 bills and make items on the bill easier for our customers
13 to understand that. And I really hope I've explained the
14 estimated bill one right because it's much easier when
15 there's a visual, but hopefully -- if there's any
16 questions I'd be happy to answer on that explanation.

17 Q. Okay. I think I got it well
18 enough to understand the point that you were making. So I
19 take it that high on your wish list for the new CIS is a

1 more nimble module, if you want to call it that, to be
2 able to design and redesign bills on the fly to have ---

3 **A.** (Lanteigne) You have much more
4 succinctly described what I just explained, yes. Thank
5 you.

6 **THE CHAIR:** And if we could just go to
7 the next page, Mr. Norwood.

8 **BY THE CHAIR:**

9 **Q.** The first bullet at the top of
10 the page refers to billing inserts, four billing inserts
11 to communicate information about the incidents' impact on
12 billing the need for estimated bills and the options and
13 supports that we've discussed already.

14 I'm not sure that those billing
15 inserts were put into evidence at this point. I know some
16 communications were; I don't know if those were ones.

17 **A.** (Lanteigne) We're not certain if
18 they have been entered. What I can say, as well, is the
19 number would be -- you know, actually would be larger than

1 four. I think we're continually providing bill inserts.
2 And one of the pieces -- we've heard feedback that, you
3 know, we potentially hadn't included bill inserts; we've
4 had them right since we resumed billing in June. So we'd
5 be happy to take an undertaking to actually provide the
6 bill inserts so that the Board could review them.

7 Q. Yeah. And would they all have
8 been the same or would they be modified over time?

9 A. (Lanteigne) The inserts that
10 were put into customer bills have evolved so, yes, every
11 bill would typically have something with it, but we've
12 evolved. It's just based on the situation and for some of
13 the items that we've discussed earlier, just the evolving,
14 the situation itself. You know, if we've seen feedback
15 from our customers, we've tried to include it. We've
16 talked about photo reads so we would have one that has
17 that listed on it. And we'd be happy to share those as an
18 undertaking.

19 Q. If you would, that would be

1 appreciated. And if you could do it in a way -- I don't
2 know if there would be dates on the billing inserts
3 themselves, but if you could date the vintage of them so I
4 know how the various iterations changed over time.

5 A. (Lanteigne) We'd be happy to
6 that, yes.

7 Q. Thank you. So that will be
8 Undertaking U-17.

9 UNDERTAKING U-17 - To provide the
10 billing inserts, with the dates
11 they were provided to customers

12 THE CHAIR: Mr. Norwood, if we could
13 go back to Exhibit N-17, please, page 34, line 13.

14 BY THE CHAIR:

15 Q. So this is a critique of Ms.
16 Ralph's evidence and there's a reference to an instance in
17 Saskatchewan:

18 ...where the Information and Privacy
19 Commissioner recommended that credit
20 monitoring be provided for a minimum of ten
21 years in response to a privacy breach...

1
2 And that sentence goes on to say:

3
4 ...however, the breach compromised personal
5 health information such as names, addresses,
6 dates of birth, height, weight, telephone
7 number, email addresses, dates, location of
8 services, health diagnosis/condition,
9 [medical]/prescriptions, medical record
10 number, patient numbers, health
11 insurance/subscriber number...

12
13 Et cetera, et cetera. And that seemed
14 to be some sort of a justification for, as I read it, why
15 10 years would be more appropriate in that case as opposed
16 to this case. Is that a fair understanding of the purpose
17 of that information in Nova Scotia Power's evidence?

18 A. (Williams) I think it's just
19 adding context there about that decision and noting that
20 that's the distinction between the types of information
21 that are at issue here as compared to the ---

22 Q. Right. And this was in the
23 context of credit monitoring service?

24 A. (Williams) Well, it's in the
25 context as I would understand it. And, again, I'm not

1 | overly familiar with the Saskatchewan decision in detail,
2 | but I would understand it as the same type of service that
3 | is offered -- has been offered by Nova Scotia Power with
4 | TransUnion. And that is in part credit monitoring, but it
5 | is also identity theft protection. So it's more than just
6 | credit monitoring. I think it goes to the point, I
7 | suppose, that the more personal information you're
8 | disclosing, perhaps the higher risk you are for identity
9 | theft.

10 | [2:50:12] Q. Sure. But in terms of credit
11 | monitoring and identity theft, wouldn't a Social Insurance
12 | Number be more significant than a prescription? You've
13 | got a series of health-related datas, and I guess I'm
14 | having difficulty understanding why that would justify a
15 | longer period of credit monitoring as opposed to a Social
16 | Insurance Number.

17 | A. (Williams) And I don't know for
18 | sure that the Saskatchewan decision didn't involve an
19 | instance where SINs were disclosed. It also included

1 health information and health insurance number, patient
2 numbers; like, it's all sensitive personal information.

3 Q. Maybe I'm reading too much into
4 it, but it seemed to me that this was presented by Nova
5 Scotia Power as the distinguishing reason why there might
6 be a longer period in the case of Saskatchewan and not
7 here; is that correct?

8 A. (Williams) I think again, sir,
9 it's just trying to provide more context around the
10 decision. I don't know that we drew any conclusions as to
11 what was appropriate in those circumstances or not.

12 Q. And you're not asking me to?

13 A. (Williams) I am not.

14 **THE CHAIR:** Mr. Norwood, if we could
15 pull up Update 11 now, please, and go to page 11.

16 **BY THE CHAIR:**

17 Q. And we can't see the top of the
18 page; it's cut off a little bit there, but you'd recognize
19 that as information relating to the payment by Nova Scotia

1 Power of outstanding bills?

2 A. (Williams) Yes, sir.

3 Q. Okay. And this information was
4 presented in various updates over time, and the chart has
5 expanded more in the -- in Version 11, I guess, so it's a
6 little bigger than it was when it started out.

7 I'm just wondering how I am supposed
8 to read this. And so I've got a few questions related to
9 that. So question one is, does each column represent the
10 outstanding bills to be paid by Nova Scotia on a specific
11 day or over a specific time period?

12 A. (Williams) My understanding, sir,
13 it would be as of the specific day that's at the top in
14 the yellow highlighting.

15 Q. Okay. And the April 2025 pre-
16 cyber one doesn't have a specific day, but I'm assuming
17 again that is a specific day before the cyber incident?

18 A. (Williams) Yes. I don't know if
19 it's April 24th or a random day in April, maybe the middle

1 of the month. I'm not -- as you indicated, we're going
2 back eleven iterations of this; I don't recall what the
3 originating data related to.

4 Q. And would the day have been
5 chosen because it would have been a typical snapshot of
6 any given day in terms of the payable situation for Nova
7 Scotia Power?

8 A. (Williams) That would be my
9 assumption as that's certainly my understanding of the
10 intention of the exercise.

11 Q. Okay. Now, in the rows below the
12 top line, you've got those other yellow rows that have
13 reasons 36 to 60 days, 61 to 90 days and 90-plus days; do
14 you see those?

15 A. (Williams) I do.

16 Q. What do those particular rows, or
17 the sub-rows under them, what am I supposed to take from
18 that?

19 A. (Williams) Sorry; is that in

1 relation to the Administrator of Procurement?

2 Q. Yes.

3 A. (Williams) So then you'd go own
4 to the legend, if you will, at the bottom of the page, and
5 that has a (inaudible due to mumbling) of what would be
6 the rationale or the reasons contained within those sub-
7 rows or sub-headings.

8 Q. Okay. And there's no ---

9 THE CHAIR: If we can go back,
10 Mr. Norwood.

11 BY THE CHAIR:

12 Q. There's no kind of hold reasons
13 for the 0 to 35 day range. Is there a particular reason
14 for that?

15 A. (Williams) I think that would
16 just be because it's -- that -- that's a typical range and
17 there's nothing -- there's no reason as to why it would be
18 in the 0 to 35. That's a typical pay period.

19 Q. Okay. All right. So that was

1 sort of the normal course, no particular reason for having
2 it extend beyond the normal?

3 A. (Williams) That would be my
4 understanding, sir, yes.

5 Q. Okay. Now, if I look at the hold
6 reasons 90 plus days at row underneath there, and I'm
7 looking at the bold numbers at the bottom line for the
8 pre-cyber, I've got about 148. Do you see that?

9 A. (Williams) I do, yes.

10 Q. If I go all the way across to the
11 most recent version in August 4th, 2026, which is 744 in
12 the 90 plus days, that's materially higher than it was in
13 the pre-cyber number?

14 A. (Williams) It is. It's ---

15 Q. Mic.

16 A. (Williams) I'm off.

17 It is. The total invoices in that
18 month are also higher. So there would be a proportional
19 impact as well.

1 Q. Right, but there have been --
2 there has been no point since the cyber incident when it's
3 been even close than the 90 days to the same number that
4 appears on the pre-cyber number?

5 A. (Williams) Yes. And I think part
6 of that reason is you'll see the kind of trend downwards
7 until you get to about the middle of, or two-thirds the
8 way across the page, moving to the left, and then you get
9 to a point where we were standing up our new financial
10 systems. And so there were some learning curves
11 associated with that.

12 Q. So -- okay. Fair. Regardless of
13 the reason, cyber or new accounting system, this data does
14 not show that you have recovered in terms of a plus 90
15 category of invoices, that you've gotten them down to a
16 level that's pre-cyber?

17 A. (Williams) Well, I haven't done
18 the math on all of it, sir, but certainly when you look at
19 the total invoice, I mean the April invoice is 1690, when

1 | you look at the middle of the page, the March invoice is
2 | 3700, you're over twice as many total invoices. So the
3 | number may still be higher even on that proportional
4 | basis.

5 | But I do believe that things were
6 | trending in the right direction, certainly, particularly
7 | when you account for the increased amount of invoices that
8 | are in the system. And then, like I said, there was the
9 | implementation of the new financial system.

10 | Q. And in terms of increased amount
11 | of invoices on the system, is there something that's
12 | happened that's caused Nova Scotia Power to suddenly get
13 | more invoices?

14 | A. (Williams) Nothing that I'm aware
15 | of, sir. I suppose there's likely some seasonality that's
16 | at play there as well. You'll see in the July that the
17 | number is down considerably at 1400, and that's similar to
18 | where it was in April. But nothing that I'm aware of that
19 | would provide you an explanation.

1 Q. Okay. In going up the chart
2 there, the 61 to 91 days, we could have a similar
3 discussion in terms of the pre-cyber levels, that the
4 numbers there are not showing that the outstanding
5 invoices that are in the 61 to 90-day range have returned
6 back to pre-cyber numbers?

7 A. (Williams) Yeah, I would suggest
8 it's a very similar discussion to what we just had.

9 Q. Same for the 36 to 60-day?

10 A. (Williams) Well, I think July
11 would be a bit of an outlier.

12 Q. It would be. It would also be a
13 bit of an outlier for only having 16 in the 0 to 35-day
14 range, as opposed to the 1306 in the pre-cyber range. Any
15 reason why there's only 13 invoices on that particular day
16 outstanding in that range? Sorry, 16?

17 A. (Williams) I -- you're really
18 testing me on the numbers, sir. I don't have an
19 explanation as to why that would be the case. We can --

1 we're certainly happy to enquire further if it would be
2 helpful, but I don't know what the explanation would be at
3 this point.

4 Q. Okay. And in terms of the
5 overall total invoices across all bands, all times from 0
6 to 91 plus, sorry, 90 plus days, aside from that issue
7 that whatever's going on in July, you'd agree with me that
8 there's no real indication that those invoices have
9 returned to pre-cyber levels?

10 [3:00:04] A. (Williams) Sorry, on the 60 to 90
11 ---

12 Q. Oh.

13 A. (Williams) --- total?

14 Q. So to the top bands total between
15 all days, you've got 1690 for pre-cyber in April.

16 A. (Williams) So that would be all
17 invoices in the system. So I don't know that that would
18 be indicative. The total, I don't -- I'm not sure that
19 would be indicative of impacts of cyber or recovery from

1 cyber.

2 Q. So if I'm to take the April 2025
3 as sort of a typical pre-cyber outstanding number, when I
4 look at this I'm not seeing anywhere, except with whatever
5 might be going on in July, of indicating that there's
6 anything that's really relatively close to pre-cyber
7 levels in any of this data.

8 A. (Williams) Yeah, I guess the
9 shortcoming of this table is that what we were asked to do
10 and what we did was provide the April cut in time, and it
11 goes back to the discussion we first had; it's not clear
12 that that's necessarily representative, and maybe that's
13 throwing off the whole discussion.

14 Q. Okay. Is there something else?
15 So one of the complaints that the -- that has been made is
16 after the cyber incident was that Nova Scotia Power wasn't
17 paying its bills on time and a lot of its creditors were
18 being left with cashflow problems and other issues.

19 This is supposed to be evidence to

1 demonstrate that things are okay, and that things have now
2 returned to pre-cyber levels. I guess you're right,
3 there's some limitations to it. Is there something else
4 you think you can provide to demonstrate otherwise?

5 **A.** (Williams) Well, as I said, I do
6 think, you know, working from what's on the chart, that it
7 demonstrates a trend in the right direction to recovery,
8 and then as I said, there was the standing up between
9 financial systems. Certainly aware of the concerns that
10 were raised at the time, and the ones that you're
11 referring to. I'm not aware of current concerns to the
12 same magnitude. So that would be a factor that's relevant
13 to the discussion.

14 **Q.** And the new financial systems,
15 was that needed as a result of the cyber incident?

16 **A.** (Williams) Yes.

17 **Q.** So if I accept your thesis that
18 this is demonstrating a, you know, a good downward trend,
19 when does Nova Scotia Power expect to be back to pre-cyber

1 levels in terms of invoice payments?

2 A. (Williams) I don't have a
3 specific date, sir, but as referenced in the body of the
4 report, that it's indicated that those numbers are
5 expected to come down over the coming months as we gain
6 operational familiarity with the new system.

7 Q. In terms of costs of the cyber
8 incident, and again I'm approaching this with the same
9 caveat that Board Member Melanson made this morning, the
10 commitment that Nova Scotia Power made to customers not
11 paying costs relating to the cyber incident, I think
12 that's been canvassed. I think I understand that, you
13 know, if but for the incurring of cyber costs there might
14 have been an overpayment, I understand the commitment
15 doesn't extend that far as well. That's correct?

16 A. (Williams) Sorry, sir. When you
17 refer to an overpayment are you ---

18 Q. So overearnings. So if ---

19 A. (Williams) Oh.

1 Q. Sorry, sorry, I misspoke. If
2 customers, but for the incurring of expenses relating to
3 the cyberattack, would have been in the zone where they
4 would have been eligible for overearnings, I understand
5 that to not be part of Nova Scotia Power's commitment
6 based on testimony we heard yesterday?

7 A. (Williams) Yeah. So Nova Scotia
8 Power's commitment -- I just want to be clear on this
9 point, I guess, that the commitment is that customers will
10 not pay for the costs of restoration which are expected as
11 is included in the evidence generally being concluded by
12 the end of this year, which would mean they're not in
13 customer -- not included in rates.

14 Your question then being if we were in
15 a scenario where Nova Scotia Power had earned over the
16 9.25 and 40 band, then would money be returned to
17 customers. And in my mind, sir, that's a hypothetical
18 that I don't know that I'm in a position to speak to.

19 I mean, we talked yesterday about

1 | there being a preliminary question as to whether we're
2 | even at 9.25 and 40, and the information that is on the
3 | record would not indicate we're in that realm.

4 | Q. For 2025.

5 | A. (Williams) For 2025. Twenty
6 | twenty-six (2026) is obviously yet to be determined, but
7 | it -- I'm fairly certain it will be a similar discussion.

8 | Q. But in terms of the commitment,
9 | which is what I was focusing on, the commitment shouldn't
10 | be understood as relating to that at all.

11 | A. (Williams) No. It's the
12 | immediate costs.

13 | Q. In terms of the costs that have
14 | been incurred, we have that confidential response to the
15 | CA IR-6 that we've referred to.

16 | Have capital costs been incurred?

17 | A. (Williams) Yes, there would be
18 | capital costs included in the costs that are outlined in
19 | that attachment to CA-6.

1 Q. They're included in the
2 attachment?

3 A. (Williams) They would be -- there
4 would be capital costs that are included in the costs
5 itemized there, yes.

6 Q. Okay. So ---

7 A. (Williams) Yeah, what I was -- I
8 guess in my mind went without saying, but what I probably
9 should say is that we obviously don't intend to apply to
10 the Board for those costs. Those are capital costs that
11 have been incurred by the utility and will not be sought
12 from customers.

13 Q. So capital costs would typically
14 go into rate base. You're saying you're expensing them in
15 full 100 percent?

16 A. (Williams) So an example would be
17 rebuilding the AMI platform. So those were capital costs
18 that were incurred that customers have paid for once. We
19 would not expect them to pay again.

1 Q. And what about other hardware,
2 tablets, servers, all of that stuff? Was there capital
3 costs incurred in replacing assets of that nature?

4 A. (Williams) It'd be the same
5 discussion, sir.

6 Q. So those won't find their way
7 into rate base?

8 A. (Williams) The replacement costs
9 -- and there would be rate-based costs for the original.

10 Q. The original.

11 A. (Williams) The original, yes.

12 Q. Okay. So the original equipment
13 would be retired and recovered through the pools, I guess,
14 and -- but you're not adding the new assets?

15 A. (Williams) That's my
16 understanding, yes.

17 Q. Your understanding.

18 A. (Williams) Yes, sir, that's our
19 intention.

1 Q. Thank you.

2 I had just one question following up
3 on a question that the Small Business Advocate had asked
4 yesterday.

5 You may recall that she had a line
6 about impacts on small business class customers and
7 whether or not they would have gotten letters and so on.

8 Did it make a difference in terms of
9 their corporate status? So if they were sole proprietors,
10 for example, would that have gotten them letters relating
11 to personal information or not?

12 [3:10:33] A. (Williams) It would not have,
13 sir, and even in the instance where you're speaking of,
14 that information would have been provided for a business
15 purpose and so would not have been considered personal
16 information.

17 Q. Okay. Thank you.

18 Just give me a moment.

19 (SHORT PAUSE)

1 THE CHAIR: Yeah, those are my
2 questions.

3 Do you have something, Mr. Deveau?

4 VICE CHAIR DEVEAU: Yeah. I just had
5 one point. Sorry, I apologize.

6 I had asked the panel questions about
7 the '25 financial statements. I wanted to enter that on
8 the record.

9 It is sequential, so there's no
10 interruption in sequence. I apologize to the
11 transcribers.

12 But the attachment that was referred
13 to was the management discussion and analysis. It was
14 from Matter M12835, the 2025 financial statements, Exhibit

1 N-2, Attachment 3.

2 THE CHAIR: Thank you.

3 And that will be Exhibit N-23.

4 --- EXHIBIT NO. N-23:

5 Exhibit N-2, Attachment 3 from

6 Matter M12835 - 2025 financial

7 statements - management

8 discussion and analysis

9 VICE CHAIR DEVEAU: Thank you.

10 THE CHAIR: Anything arising from any

11 Board Panel questions from any of the parties?

12 I don't see any. Okay.

13 Mr. Clarke, anything by way of re-

14 direct or arising?

15 MR. CLARKE: Mr. Chair, there's no re-

16 direct.

17 THE CHAIR: Okay. Thank you

18 Did anyone have any questions for a

19 confidential session for this panel?

1 Okay. I'm not seeing any, so I think
2 that concludes your testimony. Thank you very much.
3 Appreciate your patience over the past couple of days.

4 MR. WILLIAMS: Thank you very much,
5 sir.

6 (WITNESS PANEL WITHDRAWS)

7 THE CHAIR: I've been running for a
8 bit. It's probably good for a break, Mr. Clarke, and that
9 will help get set up with the next witness. Is that okay?

10 MR. CLARKE: Yes, I agree.

11 THE CHAIR: Okay. So it's about
12 quarter after 3:00 now. We'll come back at 3:30.

13 --- Upon recessing at 3:13 p.m.

14 --- Upon resuming at 3:30 p.m.

15 THE CHAIR: I think we're good to
16 start.

17 Mr. Clarke?

18 MR. CLARKE: Mr. Chair, I don't see
19 Ms. Valdetero yet on the screen.

1 **MS. VALDETERO:** I'm here. Are you
2 guys unable to see or hear me?

3 **MR. CLARKE:** We can hear you; we can't
4 see you.

5 **MS. VALDETERO:** Give me one second.
6 Let me check my settings. There we go. Can you see me
7 now?

8 [3:30:47] **MR. CLARKE:** Yes, we can.

9 **MS. VALDETERO:** All right. Excellent.

10 **MR. CLARKE:** Ms. Valdetero, can you
11 please confirm you've filed evidence in this matter -- oh,
12 I'm sorry. It's been a long day, sorry.

13 **THE CHAIR:** I'll try not to take that
14 personally.

15 **MR. CLARKE:** No, no.

16

17

18

19

1 JENA VALDETERO, Solemnly affirmed:

2 THE CHAIR: Go ahead, Mr. Clarke.

3 MR. CLARKE: Thank you, Mr. Chair.

4 EXAMINATION ON QUALIFICATIONS BY MR. CLARKE

5 Q. Ms. Valdetero, can you please
6 confirm you filed evidence in this matter which has been
7 marked as Exhibit N-17, Attachment 1?

8 A. Yes, that's correct.

9 Q. And you provided a summary of
10 your qualifications and experience which is marked as
11 Exhibit N-17, Attachment 1, Appendix A?

12 A. Correct.

13 Q. And you are a practising lawyer
14 and a Co-Chair of the U.S. Data Privacy and Cybersecurity
15 Practice at your firm, Greenberg Traurig; is that correct?

16 A. That's correct.

17 Q. Have you appeared before the
18 Board as a witness in the past?

19 A. I have not.

1 Q. Can you please provide a summary
2 of your professional qualifications?

3 A. Sure. I am a practising attorney
4 and a shareholder at Greenberg Traurig. As you mentioned,
5 I co-chair the firm's U.S. Data Privacy and Cybersecurity
6 Practice. I graduated from Georgetown University Law
7 Center with a juris doctor law degree in 2005. I started
8 practising as a litigator and started handling data
9 security incident response back in 2012.

10 Since then, I have had a high-volume
11 practice, advising hundreds of clients on more than 1,000
12 data breach investigations, including a significant number
13 of ransomware and/or extortion matters. My role in
14 advising clients includes leading an incident
15 investigation, retaining vendors like the one that Nova
16 Scotia Power retained here, including forensic
17 investigators, document review vendors and notification
18 vendors. I advise clients on their obligations under
19 various data breach notification laws both in the United

1 States and international laws, including in Canada, like
2 PIPEDA and other similar provincial laws.

3 To be clear, I am not a Canadian
4 licensed attorney. When we are engaging on Canadian
5 matters, we typically will partner with a local Canadian
6 firm, although not always.

7 I also regularly publish articles and
8 speak about data security issues.

9 **Q.** With respect to your opinion in
10 this matter, what were you asked to do?

11 **A.** My review was limited to the
12 steps taken by Nova Scotia Power after the cyberattack was
13 identified and to the Company's communications with the
14 customers and notification efforts.

15 **Q.** You've confirmed your pre-filed
16 evidence. Are there any corrections to that evidence?

17 **A.** No.

18 **Q.** Are the facts on which your
19 opinion is based true and accurate to the best of your

1 knowledge?

2 A. Yes.

3 Q. Are the opinions expressed in
4 your evidence your own?

5 A. Yes.

6 Q. And you've reviewed the evidence
7 of InterGroup and INQ Law as part of your review?

8 A. I have.

9 Q. And you've reviewed the parties'
10 opening statements?

11 A. Yes.

12 Q. And you've heard the testimony
13 provided throughout this hearing?

14 A. I have.

15 Q. Did any of the evidence filed or
16 heard have any impact on the conclusions drawn in your
17 evidence?

18 A. No.

19 MR. CLARKE: Mr. Chair, Nova Scotia

1 Power requests that Ms. Valdetero be accepted as an expert
2 witness in the areas addressed in her evidence,
3 specifically coordinating incident response activities,
4 including incident investigations, notification
5 obligations, adherence to relevant data breach laws and
6 best practices.

7 **THE CHAIR:** Any questions on
8 qualifications or objections?

9 She is so affirmed, Mr. Clarke.

10 **MR. CLARKE:** Thank you, Mr. Chair.
11 Ms. Valdetero is now available for
12 questions.

13 **THE CHAIR:** Consumer advocate?

14 **MR. ROBERTS:** No questions. Thank
15 you.

16 **THE CHAIR:** Small Business Advocate?

17 **MS. MacADAM:** No questions. Thank
18 you.

19 **THE CHAIR:** Mr. MacLeod?

CROSS-EXAMINATION BY MS. AKCAKIRYAN

Q. Could we turn to Exhibit N-17,
please, PDF page 85? So line 20.

Ms. Valdetero, in support of your
opinion about industry practice, you rely on statistics
supplied by TransUnion?

A. Correct, yes.

Q. Thank you. The data from those
statistics are not reproduced in this report, though, is
that right?

A. I'm not totally following your
question. Do you mind rephrasing?

Q. Absolutely. So you refer to -- I
believe it's at line 20, it says, "According to statistics
provided to NS Power from TransUnion". Did you review
those statistics?

A. I reviewed the information
provided from TransUnion, and that information included
statistics compiled by TransUnion for 2025 data breach,

1 | credit monitoring offerings through TransUnion. That
2 | information stated that only six percent of companies that
3 | have hired TransUnion in 2025 to provide credit monitoring
4 | for a data security incident had utilized five years of
5 | credit monitoring.

6 | **Q.** Okay. Thank you.

7 | And because we don't have access to
8 | those statistics, can you advise us as to how many
9 | affected individuals were Canadian Armed Forces members?

10 | **A.** I am not aware of that
11 | information.

12 | **Q.** In preparing your opinion for
13 | Nova Scotia Power, did you assess how many affected
14 | individuals held federal security clearances in Nova
15 | Scotia?

16 | **A.** I did not.

17 | **Q.** Okay. So your conclusion
18 | concerning the reasonableness of the five years of
19 | monitoring does not incorporate any assessments specific

1 to customers holding federal security clearances and the
2 inherent elevated consequences associated with that?

3 **A.** I was not specifically asked to
4 opine on the offering of credit monitoring to different
5 people in various situations where they would be
6 distinguished from each other, no. It would not change my
7 opinion, though.

8 **Q.** Okay. Thank you for that.

9 So now, can we turn to page -- PDF
10 page 92, please? I believe line 16, you describe the
11 myTrueIdentity service offered by Nova Scotia Power as a
12 comprehensive package; is that correct?

13 **A.** Yes.

14 **Q.** Perfect. And we also know that
15 Canada has two major credit bureaus, TransUnion and
16 Equifax?

17 **A.** Yes.

18 **Q.** And lenders don't necessarily
19 report to both bureaus; is that right?

1 A. That's my general understanding
2 is that not every furnisher of information reports to
3 every credit reporting agency.

4 Q. Okay. So for example, if
5 fraudulent credit activity appeared on an individual's
6 Equifax credit file, would that activity necessarily
7 trigger an alert through the TransUnion Credit Monitoring
8 Service?

9 A. I am not sure. My understanding
10 is it was monitoring TransUnion alerts, but I'm not clear
11 -- I would have to talk to TransUnion about whether
12 there's any tracking for Equifax as well.

13 Q. Okay. Thank you for that.

14 And can we move now onto page 94, PDF
15 page 94, line 6, please.

16 So you rely in your report on the fact
17 that customers can continue to access their credit
18 information for free after the five-year monitoring period
19 expires. Is that correct?

1 **A.** Yes.

2 **Q.** Okay. And in your view, is
3 accessing a credit report and having a credit report
4 actively monitored two different services?

5 **A.** So accessing a credit report
6 enables you to be able to review what has been queried on
7 your report, to the extent it's reportable, and also
8 review what credit has been opened in your name. My
9 understanding is credit monitoring is an alerting system
10 that would send you a communication if someone enquired
11 about or opened a line of credit in your name.

12 [3:40:14] **Q.** Okay. So then would it be fair
13 to say that active monitoring is designed to alert the
14 consumer to specific changes?

15 **A.** Yes.

16 **Q.** Okay. But with free access to a
17 credit report, the consumer must take the initiative to
18 obtain and review that information periodically; is that
19 correct?

1 A. That is correct, which is a best
2 practise of consumers. Individuals should be doing that
3 on a regular basis.

4 Q. Okay. And my understanding is
5 that the myTrueIdentity service also offers Dark Web
6 monitoring. Would the free access to credit report notify
7 a customer of any Dark Web activity?

8 A. No.

9 Q. So free access after five years
10 does not necessarily provide the same active monitoring as
11 the five-year subscription.

12 A. It does not, but I think nobody
13 offers credit monitoring in perpetuity following a data
14 security incident. But it is not the same.

15 Q. Okay. And the future risk
16 associated with the compromising can persist beyond five
17 year -- a five-year period; is that correct?

18 A. Theoretically, exposure of that
19 information could create a risk in the future. The more

1 | time you get away from the source of an exposure, the less
2 | likely that it is to happen, or at least the less likely
3 | it is to happen as a result of that particular data
4 | security incident.

5 | Unfortunately, the reality is because
6 | there are many breaches, our information has probably been
7 | exposed multiple times, and sometimes we'll have
8 | individuals who will report that they believe their
9 | information was detrimentally used because it was exposed
10 | in a particular incident, and you really can't connect
11 | that use, or that misuse of that information to a
12 | particular incident. The longer time that passes, the
13 | less likely you are to be able to do that.

14 | Q. Okay. But would you say that you
15 | do agree that there is a future risk following a five-year
16 | period?

17 | A. I think there is always a risk.
18 | It dissipates over time as it relates to that particular
19 | -- that particular incident.

1 Q. Okay. Thank you.

2 MS. AKCAKIRYAN: Those are all my
3 questions.

4 THE CHAIR: Thank you.

5 Industrial Group?

6 MS. RUDDERHAM: No questions,
7 Mr. Chair. Thanks.

8 THE CHAIR: Department of Energy?

9 MR. KAYTER: No questions, Mr. Chair.
10 Thank you.

11 THE CHAIR: Mr. Mahody?

12 MR. MAHODY: Thank you, Mr. Chair.
13
14
15
16
17
18
19

CROSS-EXAMINATION BY MR. MAHODY

1
2 Q. Ms. Valdetero, I'm Bill Mahody.
3 I'm counsel to the Board. I have a few questions for you
4 based in your report.

5 A. Sure.

6 Q. Could I start under section 3 of
7 your report, the page 4 of 32.

8 MR. MAHODY: And if we can scroll
9 down. Page 4 of 32 of -- sorry, at the bottom corner,
10 bottom right corner, 4 of 32.

11 MR. NORWOOD: Yeah.

12 MR. MAHODY: Okay.

13 BY MR. MAHODY:

14 Q. All right. It's coming on the
15 screen now, Ms. Valdetero. It's the Information
16 Considered. And in preparing the report, you note the
17 items that you've considered.

18 And if we can turn over on to the next
19 page, the last bullet of Information Considered is:

INTERNATIONAL REPORTING INC.

CERTIFIED COURT REPORTERS

1 Information obtained from representatives of
2 TransUnion, [Nova Scotia] Power, [Osler's],
3 and Emera.
4

5 Do I correctly read your background
6 and experience, Ms. Valdetero, is normally you're retained
7 in these matters to be fulfilling a role similar to
8 Osler's role in this breach?

9 **A.** That's correct.

10 **Q.** Do you have any direct
11 experience, Ms. Valdetero, in advising regulated utilities
12 regarding the collection and storage of customers'
13 personal information?

14 **A.** Yes.

15 **Q.** Tell me about that.

16 **A.** So I have advised a large utility
17 and nuclear power plant company in the United States. I'm
18 their primary outside data privacy, or only outside data
19 privacy and security counsel for the last five years.

20 **Q.** Any other direct experience
21 advising regulated utilities on collection and storage of

1 | personal information?

2 | A. Would you include a
3 | telecommunications provider as a regulated utility?

4 | Q. Yes.

5 | A. Okay. Then yes.

6 | Q. All right. Tell me about that,
7 | please.

8 | A. So I have provided external data
9 | privacy advice and counselling to a large
10 | telecommunications provider, oh gosh, probably for the
11 | past four years on data security matters, in particular,
12 | including large-scale incidents. A second outside
13 | cellular telephone company, we provide advice and
14 | counselling to them as well on data privacy and security
15 | matters.

16 | And I apologize, for confidentiality
17 | reasons, I can't share the names of these companies. I
18 | hope that's okay.

19 | Q. That's just fine. Can you tell

1 me, Ms. Valdetero, are any of those utilities that you
2 mentioned, are they similar to Nova Scotia Power in that
3 they're vertically integrated single providers within the
4 jurisdiction they operate?

5 **A.** Yes. The energy company is.

6 **Q.** Okay. And I take it as part of
7 your work, you're familiar with the term of "data
8 minimization", Ms. Valdetero?

9 **A.** I am, but note that that was not
10 part of the scope for which I was retained to provide
11 expert advice in this matter.

12 **Q.** But when we're referring to best
13 practices, it would involve the utilisation of data
14 minimization?

15 **A.** Where are you referring to best
16 practices; I'm sorry? Are you referring to a specific
17 part of my report?

18 **Q.** In your qualifications today,
19 there was reference to the best practices, and I'd like to

1 ask you about the use of data minimization as a best
2 practice for the collection and storage of personal
3 information.

4 MR. CLARKE: Excuse me. With all due
5 respect, that was not part of the retainer for this
6 expert. The retainer was in relation to responding to the
7 cyberattack itself. We didn't ask her to look backwards
8 in time.

9 THE CHAIR: Mr. Mahody?

10 MR. MAHODY: So Mr. Chair, I would
11 simply point out that the scope of the qualification had
12 to do to the matters referred to in her evidence. In her
13 evidence, there is reference to being involved in
14 thousands of data security incidents. I think that this
15 practice, the minimization of data, is a factor for
16 consideration.

17 MR. CLARKE: Well, she's entitled to
18 talk about her CV, experiences and qualifications, but
19 it's the scope of the retainer which is what's relevant,

1 the four corners of her opinion. Just as I wouldn't be
2 able to ask her all kinds of opinions with respect to
3 things that she wasn't retained on. That would be unfair,
4 and it's not appropriate to ask her things that she hasn't
5 considered, hasn't thought about. We didn't ask her to
6 look at that.

7 (SHORT PAUSE)

8 [3:50:05] THE CHAIR: Mr. Clarke, generally I
9 think the panel is of the view that like all expert
10 witnesses, this expert witness is here to assist the panel
11 in coming to an appropriate understanding and resolution
12 of the matter before it. We think in some respects,
13 potentially this line that Mr. Mahody is going down, may
14 be useful in terms of providing that. We do take your
15 point that it's not -- it may not be appropriate to ask
16 her in terms of fresh opinions that she hadn't given
17 thought to on entirely new matters, but at this stage
18 we're inclined to see where it goes.

19 MR. CLARKE: Mr. Chair, with the

1 | greatest of respect, I would like to identify my objection
2 | to this. If we wanted her to give an opinion with respect
3 | to other areas, we would have sought it, we would have
4 | asked for it. She hasn't considered it; she hasn't looked
5 | at the material in relation to it. These are not issues
6 | that were put to her. And to have to now respond to them
7 | on the fly is inappropriate. This idea of best practices,
8 | the best practices were in relation to what she was
9 | retained to consider, which is the steps forward from the
10 | cyberattack, not backwards.

11 | Now she's being asked to offer
12 | opinions in relation to things she didn't consider. Yeah,
13 | I think the Board wants the best evidence. And the best
14 | evidence is not answering questions in this tunnel
15 | fashion, as far as I'm concerned.

16 | **THE CHAIR:** Thank you, Mr. Clarke.
17 | We've made our ruling so we'll see where it goes.

18 | **MR. CLARKE:** Thank you, Mr. Chair.

19 | **MS. VALDETERO:** Can you repeat your

1 question?

2 **BY MR. MAHODY:**

3 Q. Certainly. So Ms. Valdetero,
4 you're familiar with the term "data minimization"?

5 A. I am.

6 Q. And does that represent a good
7 -- the good practice that personal information, when it's
8 no longer needed to provide a service, that it's removed
9 from a business' dataset?

10 A. In general, I would agree with
11 that definition.

12 Q. Fair enough. And in your CV you
13 specifically make reference to regularly publishing
14 articles and speaking publicly about data security issues.
15 Data minimization would be a topic that you're familiar
16 with through those articles, publications and
17 presentations?

18 A. Off the top of my head I can't
19 think of anything specific where I've given a presentation

1 on data minimization, but in general I am familiar with
2 the concept.

3 Q. And also in your CV, in the
4 fourth bullet of your -- or fifth bullet of your areas of
5 concentration, you talk about analyzing privacy and
6 security liabilities and risks of target companies in
7 mergers and acquisitions.

8 A. Yes.

9 Q. If a target company had stored a
10 large trove of information that was -- or personal
11 information that was no longer required, would that be the
12 type of risk that that work that you do would identify?

13 MR. CLARKE: Mr. Chair, I don't wish
14 to be a nuisance, but by the same token, am I supposed to
15 object each time one of these questions comes up? Because
16 it's not appropriate, and I object to it.

17 THE CHAIR: Mr. Mahody?

18 MR. MAHODY: The witness is an expert,
19 is an expert who has expressed familiarity with data

1 minimization and she has indicated examining risks in
2 certain situations, and I'm simply asking whether or not
3 data minimization is one of the risks that she would be
4 familiar with assessing in that situation that is
5 referenced in her CV.

6 MR. CLARKE: Mr. Chair, her CV is
7 not the issue here; it's what she was asked to offer an
8 opinion on.

9 THE CHAIR: To address your first
10 point, you can object any time you want, Mr. Clarke, don't
11 feel the need that you're beating a dead horse or
12 whatever. If you feel you need to object, you object.

13 To address the more significant issue,
14 I think, as you're aware the Board's approach historically
15 has been fairly liberal in terms of cross-examination of
16 expert witnesses. This is not a new thing.

17 I still take your point that there are
18 limits to that, Mr. Clarke.

19 Mr. Mahody, could you repeat the

1 | question that you intended to ask?

2 | **MR. MAHODY:** I was going to ask Ms.
3 | Valdetero whether when she is analyzing -- when she's
4 | undertaking the work that involves the analyzing of
5 | privacy and security liabilities and risks of target
6 | companies in mergers and acquisitions, if a target company
7 | had a large trove of stored but no longer needed customer
8 | personal information, would that be a risk Ms. Valdetero
9 | would identify?

10 | **MR. CLARKE:** I object to that question
11 | and it's a perfect example of a question asked in a vacuum
12 | without any context. It goes to the issue of my client's
13 | actions in this. Ms. Valdetero hasn't looked at the
14 | surrounding circumstances; it's not part of her opinion,
15 | so I object to the question.

16 | **THE CHAIR:** And how far down this
17 | trail do you intend to go, Mr. Mahody?

18 | **MR. MAHODY:** You've seen it; that's
19 | the whole trail. My next question will be in a completely

1 different area.

2 THE CHAIR: Yeah. Well, why don't we
3 move on to that one then?

4 BY MR. MAHODY:

5 Q. All right. Ms. Valdetero, could
6 I take you in your evidence to your critique of Ms. Ralph
7 and Ms. Ralph's recommendations regarding the
8 reasonableness of the timeframe for notifying former
9 customers?

10 A. Sure. Is there a particular page
11 you would like to direct my attention to?

12 Q. There is. It's at page 8 of 32,
13 section 6. And here you're addressing the timeframe for
14 notification to former customers. Do I take it, Ms.
15 Valdetero, that one important factor when assessing that
16 reasonableness is when Nova Scotia Power should have been
17 aware that the data of former customers had been
18 compromised?

19 A. One important factor is when they

1 | were aware that data had been compromised, yes. That's
2 | one of several factors though.

3 | Q. And when you were considering the
4 | reasonableness, we have the June 25th date being the date
5 | that the notification to former customers was made. What
6 | date were you utilizing for the start date of that period
7 | when you were trying to determine reasonableness?

8 | A. I believe it was May 1st, but
9 | allow me to check my timeline, if you don't mind, so I'm
10 | not giving bad testimony on this point. Yes, May 1st, Nova
11 | Scotia Power determined customer personal information had
12 | been impacted and provided an update on its website to
13 | that effect.

14 | [4:00:17] Q. And in relation to the
15 | notification to former customers on June 25th, 2025, it's
16 | your view that the period between May 1st to June 25th is a
17 | reasonable period?

18 | A. Yes, particularly given the
19 | amount of resources that needed to be pulled together in

1 | order to get everything ready to make that notification,
2 | ensure it was distributed widely, ensure credit monitoring
3 | was set up, ensure that information resources were
4 | available and were working as intended in order to avoid
5 | creating more confusion.

6 | I laid out in the report several
7 | factors of things that had to be done before you could
8 | actually go live. And with respect to Ms. Ralph, who is
9 | obviously quite qualified in the privacy space, if you
10 | haven't spent a lot of time working on actual data
11 | security incident response, it's hard to imagine all that
12 | goes into having to put the pieces together to be able to
13 | make notifications. It's far more involved than you
14 | think. If it were as easy as, you know, kind of flipping
15 | a switch and being able to make that notification, then
16 | this timeframe would not have been reasonable, but given
17 | all that needed to happen in that timeframe, from when
18 | they first identified -- and I wasn't sure when they first
19 | identified former customers, but I was still basing it off

1 of May 1st, when they first identified that information may
2 have been affected to be able to execute a strategy on
3 this scale, this is a very reasonable timeframe.

4 Q. Can I take you next to addressing
5 the second finding. I'm on page 13 of your report. And
6 this is regarding the notification in October of the
7 97,000 additional customers. And I'm looking at line 12
8 of your report, and you say that:

9 The October 31 direct mailing should be
10 understood as a later, more individualized
11 outreach step...

12
13 Now, I appreciate that the October 31st
14 is later in time than May 13th, but what did you mean by a
15 more individualized outreach step?

16 A. So one thing that's notable is
17 that Nova Scotia Power, from the time it identified that
18 personal information of customers may have been affected,
19 was going out and making that very public. So they were
20 -- they made a public announcement on May 1st. They were
21 regularly updating their website with updates and

1 information. They were reaching out to media sources all
2 around the province. They were deploying teams locally to
3 help people in person, have their questions answered.
4 They were making credit monitoring -- as of June 25th, five
5 years of credit monitoring -- available to any Nova Scotia
6 former or current customers. So what I'm referring to is
7 the fact that this is not the first time that these
8 individuals would have heard that there had been a
9 substantial cybersecurity incident at Nova Scotia Power.

10 There was a consumer poll survey that
11 was done in July, so a few months before this, and that
12 survey revealed that 85 percent of the people surveyed
13 knew or had some information about the security incident.
14 So obviously the steps that had been taken to raise public
15 awareness had been quite effective several months before.

16 **MR. MAHODY:** Thank you, Ms. Valdetero.

17 Those are my questions, Mr. Chair.

18 **THE CHAIR:** Mr. Melanson?
19

1 QUESTIONS FROM MEMBER MELANSON

2 Q. I just have a few questions. The
3 first one, same exhibit at PDF page 7, and lines 13 to 16.
4 And this relates to a discussion about the scale of the
5 attack. It says:

6 NS Power's response to the Incident should
7 be assessed in the context of a large-scale
8 ransomware event involving extensive data
9 exfiltration, severe operational disruption
10 by the Company and forensic uncertainty
11 common for large-scale ransomware incidents.
12

13 And I'm just wondering whether you,
14 without divulging any solicitor-client information,
15 whether you had personal experience with respect to
16 ransomware attacks of this size?

17 A. Substantial experience. I would
18 say several hundred matters involving large-scale
19 ransomware attacks.

20 It might be helpful to provide a
21 little bit of history about how data breaches have
22 evolved, because I do think it's helpful to the panel --

1 to the Board.

2 So when I first started doing incident
3 response 14 years ago, it was not very common, right?
4 We'd have one or two matters a month. It was a lot of
5 credit card theft, at least in the United States because
6 at the time we were just using Swipe, which was less
7 secure than what we have now. What I started to see over
8 time is an uptick steadily in the number of security
9 incidents and the scale. So the first time I handled a
10 ransomware matter was probably in 2013-2014, and at that
11 time, these were pretty amateurish groups. They were
12 encrypting, you know, maybe part of someone's system, the
13 company's systems, and then demanding between like \$5,000
14 and \$50,000 to get the decryption key. They weren't doing
15 data exfiltration.

16 So companies, as they increasingly
17 were targeted by ransomware attacks, got smarter about
18 their backup strategy. And so when you -- I always
19 explain it this way, but it's an imperfect analogy, so

1 | bear with me. So picture you have a house and somebody
2 | comes, a bad guy comes and padlocks the outside of your
3 | house; you can't get in. That's essentially what the
4 | encryption feature is of a ransomware attack. Now, let's
5 | assume every few hours, you make a shadow copy of your
6 | house, and it's next door, and if the shadow copy is not
7 | encrypted because you have put in measures -- put measures
8 | in place to separate your shadow copy from your existing
9 | house, you would be able to then just move into the second
10 | house, and maybe you lose a little bit of the data from
11 | the last few hours since the last backup, but you could
12 | move over.

13 | And so companies started to outsmart
14 | the threat actors because they were deploying these backup
15 | strategies that enabled them to not have to pay a ransom.

16 | So we really saw a new tactic around
17 | the time of COVID, and this was threat actors taking
18 | advantage of the rapid shift to remote work, where they
19 | were coming in and exfiltrating large volumes of data.

1 Now, at the time, when I say large volumes, I'm talking
2 30, 40, 50,000 files. And so they would extort you in two
3 ways. One, you've got the encryption piece, but you might
4 not need the decryption key because you've got your backup
5 house, right, or your backup data. Or they would say,
6 "Well, if you don't pay us, we're going to take this data
7 that we stole and we're going to post it on the dark web
8 on our site with your name so that everybody is aware that
9 this happened to you and their information is now out
10 there."

11 What we have seen in the last two or
12 three years are a few trends that are frankly extremely
13 concerning. Trend number one is the exfiltration of
14 massive quantities of data. So 13 terabytes, which was
15 what was affected here in terms of exfiltration, that
16 would have been unheard of three years ago, and now I have
17 several matters where we're in the terabytes of data that
18 have been exfiltrated, and they're usually exfiltrated
19 from a Data Lake or some sort of -- what I call an

1 | unstructured dataset, meaning they're not getting into
2 | your database and taking things from your database because
3 | that's a lot of trouble. That could tip you off that
4 | they're in your systems. Instead, they're going for what
5 | they consider to be more accessible, which is the Data
6 | Lake information, and they're stealing that information
7 | and removing it.

8 | When you have that quantity of
9 | information and you're trying to figure out what's in it,
10 | I think here it was over 3 million files. I mean, that is
11 | an incredibly large amount of information. So trying to
12 | figure that out with any degree of certainty is really
13 | difficult. It's really time consuming. Now, add that to
14 | all the other operational issues that are caused by an
15 | encryption event, particularly when you are providing a
16 | crucial service that impacts public safety.

17 | And so my opinion in this report about
18 | the speed and the way that Nova Scotia Power made these
19 | notifications, all three rounds, is based in that context

1 of having a real experienced understanding of exactly what
2 happens in these incidents and how difficult it is to get
3 it right.

4 I have what's becoming kind of a tired
5 saying, but I always say in a large incident, when you're
6 responding as a victim company, you're often choosing the
7 best bad option. And by that, I mean when you look at
8 your options for whatever decision point you have to make,
9 there is a downside to every single one of those options.
10 There is no perfection.

11 [4:10:09] And so through that lens as well,
12 looking at the response of Nova Scotia Power, what I see
13 is a company that took this really seriously. They were
14 raising awareness, not only of the issues around the
15 encryption and the service issues, but also about the fact
16 that customer information was potentially affected, and
17 they knew it relatively early, and they were taking steps
18 to inform the public and make sure they had the support in
19 place.

1 I realize that was probably more than
2 you asked for, so hopefully that was helpful though.

3 Q. I was worried that Mr. Clarke was
4 going to object that you're going beyond the opinions in
5 the report, but I'll get to that part of the evidence.

6 We'll move on. Let's talk about --
7 you responded to a question from Mr. MacLeod. So it's
8 with respect to the five-year timeframe.

9 A. Yeah.

10 Q. And if I understood the evidence
11 correctly, I think you said that the risk of the use of
12 that information dissipates over time. I'm not sure
13 that's what you meant, but is that what you meant?

14 A. The risk of the misuse of that
15 information, as it relates to a particular incident, as
16 opposed to any other misuse of the information, typically
17 dissipates over time. So ---

18 Q. Let me stop you there. Is it the
19 risk that dissipates with an incident or the fact that you

1 | can't associate it with the incident that dissipates?

2 | A. It's a good distinction. So let
3 | me take a step back and maybe explain it a little bit
4 | better.

5 | When your data is posted on the shame
6 | site, which is what we call the Dark Web site of these
7 | criminal groups, and when you don't pay a ransom, that is
8 | where the data ends up. One fortunate thing is now that
9 | these threat actors are stealing such large quantities of
10 | information, they can't really host. It's your data and
11 | it's every other victim company who didn't pay. They
12 | can't really host that size of data for very long because
13 | it's expensive. It's also clunky and difficult to
14 | download. So what happens over time, within two or three
15 | months, the data gets removed off of the site by the
16 | threat actor because they have moved on and replaced you
17 | with new victims. And then from that point in time, the
18 | less available the data is, the less likely it is to be
19 | sold, misused, et cetera.

1 A Social Insurance Number, which in
2 the United States, where I said is the equivalent of our
3 social security number, that is a static number, and
4 obviously it's a concern. My point was that the longer
5 time goes on, the likelihood that a risk to that number
6 will be a result of the -- that one particular security
7 incident dissipates.

8 I think you would be surprised that
9 your information's probably far more out there than you
10 realize.

11 And so when we deal with handling, in
12 particular class action lawsuits, the question that always
13 comes up is even if someone says, "I believe someone
14 misused my information and tried to", for example, "take
15 out a loan in my name", it's very difficult to tie that
16 activity to a particular breach because of just the nature
17 of this information.

18 And those are just reportable
19 breaches. I think there's a lot of companies who don't

1 know they were breached or if they have reported it, who I
2 think are the source of some of the leak of this
3 information.

4 Q. Okay. And just a question on --
5 there was an answer with respect to the counsel for
6 Mr. MacLeod with respect to the issue of individual
7 security clearances. And my assumption, although perhaps
8 it's a wrong one, but security clearances in the United
9 States, I would have assumed because of the role the
10 United States plays in many, many, many different parts of
11 the world, would be a very important aspect of privacy
12 breaches.

13 Have you had experience with that type
14 of situation, where ---

15 A. Very minimal.

16 Q. --- people lose their clearances
17 because their privacy was breached?

18 A. Very minimal. I have handled
19 breaches for defence contractors, where part of the

1 | information exposed was the security clearance level of
2 | certain people who either worked for or had affiliations
3 | with that organization.

4 | Q. So you don't have any experience
5 | with having different types of monitoring depending on
6 | what your security clearance is?

7 | A. We would typically not recommend
8 | to our clients to have different monitoring offerings for
9 | different people, different circumstances. If you're
10 | dealing with a security clearance issue, at least in the
11 | United States, and I can't speak to Canada, you know,
12 | there may be mechanisms through the Department of Defence,
13 | which I guess we're calling the Department of War now, or
14 | other government agencies to try to obtain some sort of
15 | additional protection. Although, you know, candidly, our
16 | multiple government agencies in the United States have had
17 | massive breaches, including breaches of security clearance
18 | information, and those are the ones that are reported. So
19 | I wouldn't treat anyone differently if there's not a

1 particular legal reason to do so.

2 And keep in mind too, what credit
3 monitoring is intended to do is not provide a complete,
4 you know, protection for all potential risks to an
5 individual. And so I'm not sure that offering longer
6 credit monitoring to someone because they carry a
7 government security clearance actually does anything to
8 address any, you know, potential risk of harm to those
9 individuals from the exposure of their clearance
10 information.

11 Q. Okay.

12 MEMBER MELANSON: Thank you. Those are
13 my questions.

14 VICE CHAIR DEVEAU: No questions.

15 THE CHAIR: Mr. Norwood, if we can go
16 to the previous page, please, in that exhibit. Looking at
17 line 4. Sorry, could you scroll to the bottom, please?
18 I'm not sure this is the right page. Yeah, okay.

19 Just bear with me for a second.

1 | Sorry. Sorry, Mr. Norwood. It's page 74, line 5.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

QUESTIONS FROM THE CHAIR

Q. Ms. Valdetero, the statement in your evidence there says, "The record establishes that this was not a routine data breach." And I just had a couple of questions arising from that. First being, what do you consider to be a routine data breach?

A. So a routine data breach to me is one that is limited in scope. So it typically involves the breach of a single user account or a single user email account with limited impact on potential data access or data exfiltration that could require notification to individuals and regulators.

Q. Okay. And in terms of the thousands of incidents that you have dealt with, I would take it most would not fall into that routine classification as you've just described it?

A. Correct.

Q. On the spectrum of significance in terms of security incidents that you've dealt with in

1 | terms of volume of data exfiltrated, the number of
2 | customers impacted, where would this one sort of fit in
3 | the spectrum of matters that you've dealt with?

4 | A. Probably top 10 to 15 percent.

5 | Q. Top 10 to 15 percent. And have
6 | you been involved in data breach incidents involving
7 | regulated utilities providing monopoly service?

8 | A. Yes. I think I was already asked
9 | that maybe a little bit earlier.

10 | Q. Okay. I wasn't sure if that was
11 | just in terms of your general advice to companies or if
12 | you were actually involved in data breaches with those.

13 | A. I was involved in multiple data
14 | breaches.

15 | Q. Okay.

16 | A. Yeah, for the same entity.

17 | Q. Okay. And in terms of those, how
18 | many involved the loss of information for nearly a million
19 | people?

1 on your comment that:

2 It may cause unnecessary alarm among
3 customers whose data was not, in fact,
4 meaningfully compromised.
5

6 A. Yes. Sorry, would you like me to
7 explain that a little bit more?

8 Q. Please, yes.

9 A. Okay. All right.

10 So this goes back to my comment
11 earlier about you're often choosing the best bad option.
12 So in an ideal world, you would have no impediment to be
13 able to determine exactly who was affected, exactly what
14 about them was affected, and get notices sent directly to
15 those people at current addresses. Right?

16 Here, they were trying to notify the
17 -- at least the 277, I'll start with that -- the 277 folks
18 as quickly as possible, and they did that within about
19 18 days, which is really, really fast.

20 When you are trying to pick the best
21 bad option, which is speed over precision, it is very

1 | difficult to say this is what is -- has been affected
2 | about each person with certainty, with specificity. It's
3 | extremely difficult, and very few companies actually are
4 | able to accomplish that, and when they are it's only
5 | because it's in a structured dataset and it's all pretty
6 | similar across every individual who is getting a letter.

7 | Here, my understanding is that some of
8 | the information for individuals was a little bit less
9 | sensitive. So you know, your -- and I know it's all in
10 | the eye of beholder, and I'm a little jaded -- but contact
11 | information, your home address, that type of thing. Some
12 | of it was a bit more sensitive, obviously, you know. So
13 | for the Social Insurance Number folks, yes, it's clearly
14 | an area of concern, and then I think there were some
15 | driver's licence and some bank account people.

16 | I think it would be misleading to tell
17 | them they should assume all of that information has been
18 | impacted when we actually don't know that it was, and it's
19 | almost kind of offering advice that goes beyond, I think,

1 | what's appropriate for a company making a notification
2 | like this to be offering under the circumstances.

3 | You know, like I said, ideally they
4 | would have been able to provide more specificity, but I
5 | would not have taken this approach that's suggested by
6 | Ms. Ralph, and it's not customary to do so in the
7 | industry.

8 | **Q.** And why do you feel customers
9 | would be unnecessarily alarmed by taking the approach that
10 | Ms. Ralph suggested versus what actually happened in this
11 | case?

12 | **A.** I think if you're telling someone
13 | "We don't know, but you should assume it's everything we
14 | could potentially have about you", that to me has a
15 | scarier message than, "Here's what happened. It may have
16 | included some or all of the following," which is very
17 | standard language, and which is what a lot of companies
18 | use.

19 | So in terms of were they following

1 | industry standard practices for the approach under the
2 | circumstances? They are.

3 | Ms. Ralph's recommendation is not
4 | typical and it's not industry standard. So I'm not
5 | surprised they didn't do that.

6 | **Q.** Okay. And later on in the
7 | paragraph, you make a comment about it potentially
8 | creating, "...an inaccurate impression of the scope of the
9 | breach." Could you elaborate on that?

10 | **A.** That kind of goes back to my
11 | testimony just now, is if you're telling someone, "Assume
12 | it's all affected," then to me there's very little
13 | difference between that and telling someone, "All of this
14 | is affected." And I think that goes too far, based on
15 | what they knew at the time.

16 | **Q.** And the phrase you use sort of
17 | four lines down, "Meaningfully compromised," I think that
18 | may go back to what you mentioned a moment ago in terms of
19 | the type of information that was taken, whether it's a

1 | email address or versus a SIN number?

2 | **A.** Yes, exactly. Or the fact that
3 | maybe their information wasn't compromised at all. My
4 | understanding is they didn't really have confirmation at
5 | this time. They had reasonable belief, they didn't have
6 | confirmation.

7 | And that's another piece that you're
8 | always dealing with when you're trying to make
9 | notifications quickly, is you may have a sense, but if
10 | your forensic investigation is ongoing, for example, facts
11 | change. And people are always surprised about this, but
12 | what clients call me and tell me they think is going on
13 | Day 1 of an incident is often pretty different from what
14 | we figure out on Day 14 or Day 21, after we have had a
15 | forensic investigator come and complete their
16 | investigation. And for a breach of this scale, that's
17 | particularly true.

18 | **Q.** Okay, those are my questions.
19 | Thank you very much.

1 **THE CHAIR:** Are there anything arising
2 from Board Panel questions?

3 --- (No response)

4 **THE CHAIR:** Not seeing any.
5 Anything by way of re-direct?

6 **MR. CLARKE:** No, Mr. Chair.

7 **THE CHAIR:** Ms. Valdetero, thank you
8 very much for your evidence and your participation in this
9 proceeding.

10 **MS. VALDETERO:** My pleasure. Thank
11 you.

12 **THE CHAIR:** All right. You're clear
13 to go. Thank you.

14 **MS. VALDETERO:** Thank you.

15 **(WITNESS WITHDRAWS)**

16 **THE CHAIR:** Okay. So 4:30 now, so I
17 think we'll break for the day. We'll resume tomorrow with
18 the Consumer Advocate's witness, and we'll proceed with
19 Ms. Ralph after that.

1 Anything before we wrap?

2 --- (No response)

3 **THE CHAIR:** Okay. Have a good
4 evening, everyone. We'll see you in the morning at
5 9 o'clock.

6

7 --- Upon adjourning at 4:26 p.m.

8

9

10

11

12

13

14

15

16

17

18

19

CERTIFICATE OF COURT TRANSCRIBER

I, Patricia Cantle, hereby certify
that I have transcribed the foregoing, and it is a true
and accurate transcript of the evidence given in this
matter, M12600.



Patricia Cantle
Registration No. 2017-001
ICDR, ICDT
Certificate No. IAPRT-2142

Halifax, Nova Scotia
Wednesday, August 19, 2026